

1

Monday 13 October 2025

2 (10.05 am)

3 HEARING MANAGER: Good morning everybody. My name is

4 Chloe, and I am part of the Inquiry team and am the

5 hearing manager for today. Before the Chair enters

6 and opens the hearings today, I have some

7 announcements to make regarding the venue and

8 today's proceedings. We are not expecting any fire

9 alarm test today so if the fire alarm does sound,

10 please move to one of the four exit doors in this

11 room, taking the stairs down to the ground floor of

12 the building. The muster point is in Temple Gardens

13 which is directly opposite the doors through which

14 you entered this morning.

15 You have passed through security to enter the

16 venue this morning, all attendees will need to pass

17 back through security checks each time they leave

18 and re-enter the venue, so we do ask that you keep

19 in mind any additional time that you might need when

20 returning to the hearing following lunch or breaks.

21 For security reasons we ask that you wear your

22 lanyards or badges at all times whilst in the

23 Hearing Centre today and please do remember to hand

24 these back to a member of the Inquiry team when you

25 exit the building at the end of today.

1 If you need any assistance throughout today,
2 members of the Inquiry team are wearing
3 purple-coloured lanyards and can be found throughout
4 the venue over the course of the day.

5 These hearings are being recorded and are also
6 live-streamed with a 10 minute delay via YouTube.
7 The Chair has made a Restriction Order under section
8 19 of the Inquiries Act restricting the publication
9 or disclosure of any evidence unless and until it
10 has been broadcast on the delayed live stream. In
11 practice, this means that for those attending the
12 hearings in person, you will need to wait 10 minutes
13 before sharing or publishing anything you have heard
14 with individuals outside of the hearing venue.
15 Please can we ask that phones are now turned off or
16 set to silent and just a reminder that filming or
17 photo taking whilst in the hearing centre is not
18 permitted.

19 We are now ready to begin proceedings so the
20 live stream will now be turned on. Please can I ask
21 that the room stands for the Chair.

22 CHAIR: Good morning everyone. For everyone joining
23 us in the hearing room today, welcome back to
24 Arundel House and a warm welcome also to everyone
25 following these proceedings virtually.

1 This hearing, which begins today and ends on
2 Tuesday 28 October, further builds on the evidence
3 heard by this Inquiry earlier in the year during our
4 July and April hearings.

5 We will shortly be hearing a statement from
6 Counsel to the Inquiry, Nicholas Griffin KC. This
7 will be followed later today and tomorrow by
8 evidence about the use of technology in mental
9 health inpatient settings, specifically about
10 vision-based monitoring systems and how and why they
11 are used and the issues and potential concerns
12 arising from their use. From Wednesday of this week
13 until the end of the hearing we shall hear from
14 bereaved families about their experiences and the
15 experiences of their family member or of mental
16 health inpatient care and treatment within Essex.

17 It is a pertinent time to hear this evidence
18 given that Friday was World Mental Health Day, a day
19 in the global calendar dedicated to raising
20 awareness of mental health.

21 It remains crucial that we keep in our minds
22 the people who experienced, either directly or
23 indirectly, the mental health inpatient services
24 with which this Inquiry is concerned. My Inquiry
25 team continues to engage with bereaved families to

1 assist them in understanding the work of the Inquiry
2 and to support them where appropriate to participate
3 in our work.

4 Mr Griffin will shortly provide further details
5 about how the Inquiry has been engaging with core
6 participants and witnesses.

7 One example of this engagement is the question
8 and answer event which my Inquiry team hosted in
9 Essex on 15 September. This provided an opportunity
10 for bereaved family Core Participants to ask
11 questions directly of my Inquiry team. My team
12 found this to be a valuable way to gauge what more
13 we can do within the Inquiry to explain and
14 demystify the sometimes technical and complex
15 Inquiry processes and how better to assist and
16 engage with Core Participants. We plan to run this
17 event again in the next few months. It will be a
18 virtual event, allowing those participating to join
19 remotely.

20 Shortly before this hearing I received a joint
21 written application from the legal representatives
22 acting for bereaved families, seeking permission to
23 address me directly in relation to a number of
24 matters. I am grateful for this offer and I am
25 happy to provide an opportunity for legal

1 representatives to address me. In his opening
2 remarks today, Mr Griffin will outline when and how
3 this will occur.

4 Moving on, I now wish to talk briefly about
5 confidentiality undertakings and their crucial
6 importance to the Inquiry's work. In order to
7 investigate matters properly in accordance with this
8 Inquiry's terms of reference, we may need to
9 disclose certain information to others. This may
10 include personal data and information about those
11 who are now deceased. This Inquiry takes very
12 seriously its responsibilities and obligations in
13 relation to the proper handling of all information,
14 particularly personal and sensitive material. We
15 take great care to ensure that such information is
16 managed securely, lawfully and respectfully at each
17 stage.

18 Anyone who is granted access to Inquiry
19 documents is required to sign a confidentiality
20 undertaking. This does not prevent the sharing of
21 Inquiry material where it is necessary and
22 authorised. It ensures that each individual who
23 views or becomes aware of Inquiry material, whether
24 a member of a legal team, a family representative,
25 an expert or anyone else, personally undertakes to

1 treat that material in accordance with the Inquiry's
2 requirements.

3 The confidentiality undertaking is deliberately
4 broad. This is standard practice for public
5 inquiries, reflecting both the sensitivity of the
6 information we hold and our obligations under the
7 law.

8 Recently the Inquiry has experienced issues
9 with a small number of organisations who have not
10 yet signed the confidentiality undertaking.
11 Although the Inquiry understands that careful
12 consideration may be required, continued delay
13 restricts the Inquiry's ability to engage openly and
14 to progress certain areas of its work.

15 For this Inquiry to carry out its work
16 effectively, thoroughly and lawfully, everyone
17 involved must handle Inquiry material in the manner
18 we have set out. The confidentiality undertaking is
19 a vital safeguard. It must be signed and it must be
20 adhered to. I wish to record my appreciation to the
21 large majority of individuals and organisations who
22 have signed and complied with these undertakings.
23 Your co-operation helps to protect the dignity of
24 those whose information we hold and supports the
25 Inquiry's ability to deliver its work with integrity

1 and trust that the public expects.

2 Before I pass over to counsel to the Inquiry, I
3 wish to thank all those who will be providing
4 evidence at this hearing. I appreciate that being a
5 witness to a public Inquiry may be a challenging
6 experience for many people and I am grateful to all
7 the witnesses for their time, their participation
8 and their candour.

9 I am now going to hand over to counsel to the
10 Inquiry, Nicholas Griffin KC.

11 MR GRIFFIN: Thank you very much, Chair. This is the
12 Lampard Inquiry's fifth public hearing and the
13 second hearing during which the Inquiry will hear
14 directly from those who are at the heart of its
15 work. As you have said, Chair, today and tomorrow
16 morning, we will be hearing evidence relating to the
17 use of Oxevision in mental health in-patient units.
18 From tomorrow afternoon onwards this hearing will
19 focus on hearing oral evidence from more bereaved
20 family members concerning the deaths of those under
21 the care of Trusts in Essex.

22 Once again, can I join you, Chair, in saying
23 how very grateful we are to all of the family
24 members and to others who provided witness
25 statements to the Inquiry. We do not take for

1 granted how difficult it is for those involved to
2 share again the details of their family members'
3 deaths.

4 We thank them for their courage.

5 Before I go any further, I must stress again
6 that during this Opening Statement, and throughout
7 the next two and a half weeks, the Inquiry will be
8 referring to and hearing about matters that will be
9 very distressing and difficult. We will be hearing
10 disturbing evidence about further individual deaths
11 and experiences. These details may be deeply
12 painful and traumatic for many of those who are here
13 today or watching online. As we have done at
14 previous hearings, at the start of each day we will
15 briefly summarise the evidence to be heard. This
16 will give those attending, watching and listening
17 the opportunity to decide whether they wish to
18 engage with that evidence. The timetable for this
19 hearing is also available on the Inquiry website.

20 I would like to reiterate to all those engaging
21 with the Inquiry that emotional support is available
22 for anyone who requires it. The wellbeing of those
23 participating is extremely important to the Inquiry.
24 Anyone in this hearing room is welcome to leave at
25 any point. We have two support staff here from

1 Hestia, an experienced provider of emotional
2 support, and they will be here today and for every
3 day of this hearing. There is a private room where
4 you can talk to the Hestia support staff if you
5 require emotional support at all throughout this
6 hearing.

7 The Hestia support staff are wearing
8 orange-coloured lanyards and scarves and there is
9 one in the room, I might just ask her to hold up her
10 hand so people can see where she is. Just there,
11 thank you very much. Alternatively, please do speak
12 to a member of the Inquiry team and we can put you
13 in touch with them. We are wearing, as you have
14 heard, purple-coloured lanyards.

15 If you are watching online, information about
16 available emotional support can be found on the
17 Lampard Inquiry website at lampardinquiry.org.uk,
18 and under the support tab near the top right-hand
19 corner. You can also contact the Inquiry team's
20 mailbox on contact@lampardinquiry.org.uk for this
21 information. We want all of those engaging with the
22 Inquiry to feel safe and supported.

23 The role and the remit of the Inquiry is to
24 investigate mental health in-patient deaths. It is
25 not the role of the Inquiry to intervene in clinical

1 decisions for current patients or to act as a
2 regulator or in the role of the police. However,
3 the Inquiry has a safeguarding policy and we have
4 team members who are specifically responsible for
5 overseeing safeguarding matters. We take
6 safeguarding very seriously. Where we receive any
7 information which meets our safeguarding threshold,
8 we will continue to pass it on to the appropriate
9 organisation.

10 I will be supported at this hearing by members
11 of the counsel to the Inquiry team, including
12 Rebecca Harris KC, Rachel Troup, Priya Malhotra, Tom
13 Coke-Smyth, Natasha Lloyd-Owen and Thomas Hayes.
14 They have been working closely and directly with
15 bereaved families, and where applicable their legal
16 representatives, particularly in advance of this
17 hearing. The counsel team also works closely with
18 The Lampard Inquiry solicitor team, under Catherine
19 Turtle, and together we work with the secretariat
20 team and the Inquiry's engagement team with whom
21 many of those engaging with the Inquiry have been in
22 contact.

23 Chair, the Inquiry team works for you and as
24 instructed by you. We are independent from all
25 other organisations and individuals involved in this

1 Inquiry and we must be very careful to ensure that
2 we remain so.

3 I would also like, once again, to introduce the
4 lawyers who are representing Core Participants.
5 Representing bereaved families and those with lived
6 experience, Bates Wells with counsel Sophie Lucas;
7 Bhatt Murphy with Fiona Murphy KC and Sophy Miles;
8 Bindmans with Brenda Campbell KC and Tom Stoate;
9 Hodge Jones & Allen with Stephen Snowden KC, Eleena
10 Misra KC, Dr Achas Burin, Rebecca Henshaw-Keene and
11 Jake Loomes.

12 Irwin Mitchell, and separately Leigh Day, and
13 separately Deighton Pierce Glynn who have all
14 instructed Maya Sikand KC and Laura Profumo. And
15 representing Core Participant organisations, Bhatt
16 Murphy for INQUEST with Anna Morris KC and
17 Lily Lewis; Browne Jacobson for Essex Partnership
18 University NHS Foundation Trust, or EPUT, with
19 Eleanor Grey KC and Adam Fullwood; Kennedys for the
20 North East London NHS Foundation Trust or NELFT,
21 with Valerie Charbit; and in-house representation
22 and DAC Beachcroft for NHS England with Jason Beer
23 KC and Amy Clarke; and the Government Legal
24 Department for the Department of Health and Social
25 Care; Mills & Reeve for the Integrated Care Boards

1 with Kate Brunner KC; Jenny Richards KC and Rachel
2 Sullivan for the Care Quality Commission and Bevan
3 Brittan for Oxehealth with Fiona Scolding KC; Essex
4 County Council Legal Services for Essex County
5 Council; Essex Police Legal Department for Essex
6 Police; Cygnet Health Care Limited legal team for
7 Cygnet Health care; Weightmans for British Transport
8 Police and Womble Bond Dickinson for St Andrew's
9 Healthcare.

10 Whilst the Inquiry must remain careful to
11 preserve its independence, it continues to engage
12 directly wherever it can with all Core Participants
13 and their legal representatives. Specifically
14 assigned members of the Inquiry team meet regularly
15 both with the legal teams representing bereaved
16 families and those representing healthcare providers
17 and other stakeholders.

18 The Inquiry has sought views on important
19 evidential and procedural matters, both via the
20 submissions provided by Core Participants after the
21 April hearing, and the meetings that followed. It
22 will seek to engage Core Participants further in the
23 course of its investigative work.

24 We will continue to hold meetings with those
25 representing Core Participants. We consider that

1 these meetings provide a valuable additional
2 opportunity to listen and discuss individual
3 concerns.

4 Whilst as an independent Inquiry, it is not
5 possible to accept every proposal or submission, the
6 discussions have resulted in positive developments
7 in relation to key themes, including clear focus on
8 systemic issues and accountability as part of the
9 investigative strategy in respect of illustrative
10 cases; the establishment of an expert
11 instruction protocol; the decision to obtain
12 background expert evidence in respect of neuro-
13 developmental conditions, in particular autism and
14 ADHS; a recognition that there is a need for expert
15 evidence in order to benchmark the relevant standards
16 in inpatient care, and improvements in how
17 disclosure is managed through Relativity and the
18 creation of the Core Participant workspace.

19 Significantly, and as you have mentioned,
20 Chair, earlier in September the Inquiry held an in
21 person question and answer session in the Chelmsford
22 Civic Centre to which bereaved family core
23 participants were invited to attend. Senior members
24 of the Inquiry team were present including Rachel
25 Troup from the counsel team, Kieran Coleman from the

1 solicitor team and Tricia Rich from our secretariat,
2 all of whom lead on family engagement in their
3 respective areas and who were there to answer any
4 questions posed.

5 We understand this session to have been
6 received very positively by those who attended, to
7 whom a note of the session will be circulated for
8 their reference. As a result, and as you indicated,
9 Chair, the Inquiry intends to run another similar
10 session before the end of the year and this next
11 session will be run virtually. Our aim is that this
12 will allow greater access to the Inquiry team for
13 those who wish to ask any questions and attend.

14 Although only a relatively short time has
15 passed since our last public hearing in July, the
16 Inquiry has made very substantial progress. It is
17 important, Chair, that the wider public are aware of
18 the large amount of work that takes place away from
19 public hearings. This Opening Statement will
20 therefore provide an update on some of that progress
21 before turning to introduce the important evidence
22 that we will be hearing over the course of the next
23 two and a half weeks.

24 The Inquiry continues to engage with the
25 families and friends of those who died whilst under

1 the care of Trusts in Essex and to obtain evidence
2 from all those who wish to provide it. The Inquiry
3 will hear oral evidence from many of those families
4 during this hearing and will hear from more in
5 February next year. Others have provided witness
6 statements which will form part of the Inquiry's
7 body of evidence and will underpin our ongoing
8 investigations, which I will turn to in just a
9 moment.

10 The Inquiry is also obtaining evidence and
11 witness statements from bereaved families who are
12 not Core Participants. As you have always made
13 clear, Chair, it is possible to engage with the
14 Inquiry and to provide evidence as a witness without
15 being a Core Participant. Over 20 such families
16 have confirmed that they wish to provide written
17 statements. These families who were previously
18 spoken to by the Essex Mental Health Independent
19 Inquiry included.

20 Furthermore, the Inquiry is making considerable
21 progress towards obtaining evidence from those who
22 have lived experience of mental health services
23 provided by trusts in Essex. The Inquiry has taken
24 very great care with the input of its Chief
25 Psychologist to put into place an appropriate

1 framework to enable Core Participants with lived
2 experience to engage with the Inquiry and provide
3 evidence about their experiences should they choose
4 to.

5 Having sought the views of those representing
6 the Core Participants affected, the framework was
7 finalised and published shortly after the last
8 hearing. Those who wish to provide evidence have
9 been given an extended period of time in which to
10 complete the first step, which is a questionnaire.
11 I should stress, however, that for any Core
12 Participant who prefers not to give evidence, there
13 will be other ways by which they can engage with the
14 Inquiry, including, for example, via the Inquiry's
15 Recommendations and Implementation Forum. I will
16 return to that shortly.

17 Separately, the Inquiry has also sought
18 evidence from healthcare providers about the
19 initiatives they have in place to seek, recognise
20 and act upon information provided by those with
21 lived experience of their services. Some of the
22 most significant progress made by the Inquiry in the
23 past few months relates to the investigation of its
24 illustrative cases. On your direction, Chair, the
25 Inquiry has set up a dedicated investigations team,

1 which leads on this crucial work.

2 As I set out in July, the Inquiry's approach to
3 its illustrative cases has always been to begin by
4 receiving the first-hand accounts and witness
5 statements from the families and friends of those
6 who died. Those accounts then inform the Inquiry as
7 to further investigative steps that need to be
8 undertaken. By putting the evidence of families and
9 friends front and centre of its investigative work,
10 the Inquiry ensures that families' concerns remain a
11 key factor in determining what further evidence
12 should be obtained. Development of the Inquiry's
13 investigative strategy has been an iterative
14 process. That process included the Inquiry reaching
15 an agreement with His Majesty's Coroner for Essex to
16 obtain permission for any materials provided to
17 families and or other Interested Persons in coronial
18 proceedings, to be forwarded to the Inquiry. In
19 many cases, this will now allow the Inquiry to
20 obtain relevant materials directly from families and
21 trusts.

22 The Inquiry's investigative strategy is now
23 finalised and will be published in November. The
24 strategy clearly sets out, amongst other features,
25 how illustrative cases will be assessed and then put

1 together in groups by issue and/or theme; how the
2 Inquiry will rely on previous findings of fact from
3 reliable sources, where appropriate -- for example,
4 criminal prosecutions, coronial findings of neglect
5 or regulatory proceedings; how the Inquiry will seek
6 to assess compliance on the part of healthcare
7 providers and other organisations with any previous
8 reviews or recommendations, including Prevention of
9 Future Death reports; the basis upon which the
10 Inquiry will look to instruct expert evidence, when
11 required, to consider common issues and themes that
12 have arisen, focusing also on whether identifiable
13 failings have been addressed since; how the Inquiry
14 will look to its illustrative cases to explore the
15 extent to which stated systems, policies and
16 procedures have been or are effective as opposed to
17 aspirational.

18 Importantly, the strategy sets out clearly how
19 the Inquiry intends to engage with the families and
20 friends of those who died, together with their legal
21 representatives. The Inquiry will also seek input
22 from healthcare providers and other corporate core
23 participants and organisations.

24 Whilst much of the Inquiry's work is now being
25 driven by the investigation of our illustrative

1 cases, the Inquiry is also working hard to seek the
2 further evidence and information it needs from
3 healthcare providers, enforcement agencies,
4 regulators and other corporate stakeholders, all of
5 whom the Inquiry considers may have material
6 relevant to our terms of reference. By way of
7 example, the Inquiry has sent multiple requests for
8 evidence to EPUT, to NELFT, to Mid and South Essex
9 NHS Foundation Trust, to private providers, to Essex
10 Police, to British Transport Police, to healthcare
11 regulators including the HSC and the CQC, the Health
12 and Safety Executive, and the Care Quality
13 Commission, to the local government and social care
14 Ombudsman, to the Disclosure and Barring Service,
15 and to the National Medical Examiner, this list is
16 not exhaustive. The Inquiry is rigorously exploring
17 and obtaining data on core issues, such as physical
18 and sexual safety in inpatient units, safeguarding
19 and discrimination in mental health services. The
20 Inquiry has also reached out to key individuals
21 including historians and authors whose individual
22 research may assist the Inquiry in its work.

23 In short, the Inquiry continues to think
24 laterally and expansively and will leave no stone
25 unturned in order to meet its Terms of Reference.

1 As I already touched on when referring to the
2 Inquiry's investigative strategy, the Inquiry will
3 scrutinise candour and accountability and the
4 overall governance structures of those who provided
5 and continue to provide mental health inpatient
6 care in Essex. The governance work is looking ward
7 to board about how services should be run and will
8 measure what we are learning about how they are run
9 against those standards.

10 Chair, in April of this year you provided
11 further clarification about how the Inquiry would
12 approach two separate particulars of its definition
13 of "inpatient". As I explained at that time, as a
14 consequence the Inquiry invited the main healthcare
15 providers to revisit and resubmit their lists of
16 those who died whilst under their care in the
17 relevant period.

18 Obtaining updated and, as far as possible,
19 definitive lists of deceased remains an absolute
20 priority for this Inquiry. Firstly, it is of the
21 utmost importance for the Inquiry to understand as
22 best we can the number of people who died during the
23 relevant period whilst under the care of trusts in
24 Essex. We consider it is our duty and
25 responsibility to pursue this information. It is

1 extremely disturbing that we are still unable to say
2 with any certainty how many people died. Whilst
3 progress has been made, we are still not in a
4 position to confirm numbers of deaths which fall
5 within scope. We are acutely aware of the
6 sensitivities surrounding this information and for
7 that reason the Inquiry considers it would be
8 irresponsible to publish any numbers until we are
9 confident that these are as accurate as possible.

10 Secondly, information relating to deaths in
11 scope is required to enable reliable and robust
12 findings to be made about themes and patterns that
13 are revealed. As I said at the July hearing, until
14 the Inquiry receives full information in relation to
15 the deaths which fall within scope, we are simply
16 not able to say how many of those involved serious
17 failings or issues of concern, or whether they were
18 deaths that could have been avoided. Unhappily,
19 progress in providing those updated lists of
20 deceased has been slow. The Inquiry has only very
21 recently received this information, some of which is
22 still in draft form. We remain determined to get
23 the most accurate figures available, using all of
24 the information and expertise available to us, and
25 we ask providers do all within their power to ensure

1 that this data is provided in as full a form as
2 possible.

3 The Inquiry's expert health statistician,
4 Professor Donnelly, remains engaged and ready to
5 assist the Inquiry to understand the list of
6 deceased. Although her final analysis will be
7 determined by the updated information, Professor
8 Donnelly has continued to advise the Inquiry on what
9 further data ought to be obtained in order to place
10 the lists of deceased into their proper context.
11 That will be done using denominator data about
12 populations of patients who were admitted to the
13 same wards during the same period. Obtaining
14 denominator data and other data necessary to
15 corroborate information in the list of deceased has
16 proved challenging. It has also highlighted some
17 significant limitations in the available data.

18 For example, efforts have been made to identify
19 a readily available source of Records of Inquest so
20 that these can be used to supplement and corroborate
21 the lists of deceased from providers. Somewhat
22 surprisingly, the Inquiry has been informed that
23 there is no central electronic repository for such
24 records, meaning that any reconciliation must be
25 done against archived paper records.

1 Despite these challenges, progress is being
2 made. The Mental Health Services Data Set, the
3 MHSDS held by NHS England, provides the best source
4 of denominator data, although it only begins in
5 2016. Its two predecessors, the Mental Health and
6 Learning Disability Data Set and Mental Health
7 Minimum Data Set are sparser in the information they
8 hold. The Inquiry has taken steps to obtain the
9 MHSDS in the first instance, once this has been
10 reviewed the earlier and sparser data sets can be
11 considered.

12 Progress has also been made in reaching
13 agreement with the National Confidential Inquiry
14 into Suicide and Safety in Mental Health, to share
15 anonymous, aggregate data. This will assist
16 Professor Donnelly and her team in corroborating the
17 accuracy of the List of Deceased.

18 Core participants have now been provided with
19 an update from Professor Donnelly, setting out in
20 outline her approach and her work to date. We hope
21 that this update will assist in informing our
22 planned data discussion, which is intended to
23 facilitate constructive suggestions as to further
24 avenues the Inquiry may wish to explore given the
25 apparent limitations of the data available.

1 Arrangements for the date of discussion will be
2 circulated after this hearing.

3 The Inquiry is also looking to Professor
4 Donnelly and to her team to assist with the analysis
5 and potential significance of other forms of
6 information and sources of data. For example, staff
7 and/or patient surveys; audits; evidence of
8 evaluation and so on.

9 As I have already outlined, having considered
10 careful observations made by Core Participants, the
11 Inquiry has prepared and published the protocol on
12 the role and instruction of experts which regulates
13 the process of obtaining future expert evidence.
14 The purpose of that protocol is to allow greater and
15 earlier engagement from Core Participants in respect
16 of proposed experts and other areas of expertise.
17 In accordance with this protocol, the Inquiry
18 recently distributed to Core Participants its
19 proposal for instructing experts to provide evidence
20 about neuro divergence, including autism and ADHD.
21 The Inquiry proposes that this evidence covers,
22 amongst other matters, key developments in the
23 understanding and treatment of neurodevelopmental
24 conditions across the relevant period. It is very
25 important for the Inquiry to understand how neuro

1 divergence should be considered and reflected in the
2 provision of mental health care. The Inquiry has
3 also identified the need for expert evidence to
4 address the suggestion made by some that suicide may
5 in certain circumstances not be preventable in the
6 context of mental health inpatient care. We
7 recognise that this is a very difficult and
8 sensitive topic. It is an issue which arises in
9 many of the Inquiry's illustrative cases and is
10 central to the concerns of many of the families and
11 friends of those who died.

12 The Inquiry is acutely aware, in addition, that
13 this is an area where there is a range of expert
14 opinion and emphasis. Some practitioners advocate
15 for a risk management approach, whilst others argue
16 for greater focus on a patient's underlying care and
17 treatment.

18 Chair, you have made clear that you wish to
19 hear from both sides of that debate. To that end,
20 we will shortly be sharing with CPs a proposal for
21 the presentation of varied expert evidence on this
22 topic. The Inquiry is also actively looking at
23 other evidence which may assist you to understand
24 the tension between these concepts.

25 I have already touched upon the Inquiry's

1 intention to instruct experts to consider its
2 illustrative cases where appropriate. That process
3 is set out in the investigative strategy, the
4 Inquiry's protocol on the instruction of experts
5 will apply.

6 I would like to say something now about staff
7 evidence. This is because, given the background of
8 poor staff engagement with the Essex Mental Health
9 Independent Inquiry, we are aware that there
10 remains, understandably, considerable interest and
11 concern about how the Inquiry intends to secure
12 relevant evidence from those who have seen or have
13 heard first hand exactly what happens on mental
14 health inpatient units. The Inquiry is working
15 hard to secure the co-operation of present and
16 former staff and to facilitate the flow of full and
17 frank information. More individuals are now coming
18 forward and we are grateful to them for their
19 assistance and their candour.

20 The Inquiry will continue to do all that it can
21 to identify and obtain evidence from relevant staff,
22 particularly those whose identities we are aware of.
23 As I have already stated, the evidence from the
24 families and friends of those who died and the
25 Inquiry's investigative strategy will inform the

1 Inquiry which staff may be able to provide relevant
2 evidence. In addition, and importantly, the Inquiry
3 has secured assistance from appropriate third
4 parties to help track down staff members who have
5 moved on from their original Essex employers. The
6 Inquiry is also aware, however, that there may be
7 many staff we do not currently know about, and who
8 have not come forward, not only because they fear
9 workplace repercussions, should they give evidence
10 about colleagues and employers, but also because
11 they fear professional repercussions should they now
12 provide evidence which they could have provided
13 before.

14 Chair, that is why you instructed us to seek
15 limited undertakings from healthcare providers and
16 regulators, to reassure those individuals and
17 safeguard their position. You are aware, Chair,
18 that following our hearing in July, the Inquiry
19 circulated proposed undertakings to all Core
20 Participants and invited those who wished to
21 provide views on whether we should pursue
22 undertakings at all. Once again, we are extremely
23 grateful to those engaged in this exercise. There
24 was a variety of views expressed. The Inquiry is in
25 the process of reviewing all of the comments made

1 and considering next steps.

2 Chair, the Lampard Inquiry's Terms of Reference
3 require you to make recommendations to improve the
4 provision of mental health inpatient care. You
5 have repeatedly stated your commitment to ensuring
6 the recommendations you make bring about real and
7 lasting change. The content and substance of any
8 recommendation made is a matter for you, of course.

9 But as with any Inquiry, a recommendation is
10 only as effective as the extent to which it is later
11 implemented. As a consequence, not only is this
12 Inquiry determined to make robust recommendations,
13 it is also determined to do whatever it can to
14 ensure their proper implementation. Chair, under
15 your direction the Inquiry has established its
16 recommendations and implementation forum. This
17 forum will seek the views of others as to how the
18 recommendations you make may be implemented to
19 ensure meaningful change.

20 As far as we are aware, the Lampard Inquiry is
21 the first public Inquiry ever to have undertaken
22 such an important, innovative and collaborative
23 step. With this forum in mind, the Inquiry
24 commissioned a briefing paper on recommendations and
25 implementation from Dr Emma Ireton, Associate

1 Professor at Nottingham Law School. This paper was
2 circulated just over two weeks ago to Core
3 Participants and was accompanied by a paper from
4 Counsel to the Inquiry, which sets out proposed
5 arrangements for the Lampard Inquiry's
6 Recommendations and Implementations Forum. The
7 Inquiry has invited views from Core Participants on
8 how the forum might operate. We look forward to
9 receiving those views next year. Dr Ireton's paper
10 will be published on the Inquiry's website this
11 week.

12 In August this year, as promised, the Inquiry
13 extended the use of the Relativity platform to all
14 Core Participants, material providers and their
15 legal representatives, also creating a Core
16 Participant work space. Training and technical
17 support was provided. Relativity is a disclosure
18 platform that facilitates the efficient review and
19 analysis of documents. Disclosure for this hearing
20 was made via Relativity and the same method will be
21 used for future hearings in 2026, so we will
22 continue to put in place suitable and workable
23 arrangements for unrepresented Core Participants.

24 Disclosures outside the Inquiry's structure
25 will also be made via Relativity. That disclosure

1 will be determined to a large extent by the
2 Inquiry's investigative strategy and the material
3 flowing from it. However it will also include
4 relevant disclosure from all of the other areas of
5 evidence that I summarised this morning. The
6 Inquiry aims to begin its disclosure of material
7 outside of the hearing structure with notice in the
8 early part of next year if not before.

9 I would like now to say a few words about this
10 hearing, which runs from today until Tuesday 28
11 October.

12 During the next two and a half weeks, the
13 Inquiry will first return to the postponed evidence
14 regarding the use of Oxevision, which was due to be
15 heard in April, before hearing live evidence from
16 further bereaved family members of those who died.
17 As in July, the Inquiry has invited the family
18 members to give evidence of their first-hand
19 accounts, observations, recollections and concerns.
20 We have also invited them to give their current
21 views on what recommendations should be made for
22 change.

23 As I stated earlier, hearing this evidence from
24 families now is crucial. This evidence is the
25 driving force behind the Inquiry's investigations.

1 As in July, the Inquiry will be inviting the
2 families to give their own direct evidence. The
3 Inquiry will not be seeking comments or analysis
4 from the witnesses on other documents that relate to
5 their relatives' care and treatment, nor will we be
6 hearing other evidence relating to that care and
7 treatment or any related issue at this particular
8 hearing. Other evidence will form part of the
9 Inquiry's investigations, however, and may form part
10 of later hearings.

11 Immediately following this opening statement,
12 we will hear evidence in relation to the use of
13 vision-based digital technology. This will focus on
14 Oxevision. Oxevision is a non-contact, vision-based
15 monitoring system that uses an infrared camera to
16 monitor the vital signs of mental health inpatients
17 and for other purposes. The use of Oxevision has
18 proved to be controversial, attracting very strong
19 opinion across a range of individuals, including
20 patients and clinicians. Its use has featured in a
21 number of recent inquests and is of grave concern to
22 a number of the family Core Participants in this
23 Inquiry. It is currently drawing considerable
24 national interest.

25 You have indicated, Chair, that you wish to

1 explore carefully the use of this type of
2 technology. We will start this morning, therefore,
3 by hearing from Laura Cozens, the Head of Patient
4 Safety and Quality at Oxehealth Limited, which
5 recently brand to become LIO, that is LIO. Oxehealth
6 supplied the technology itself to inpatient
7 settings. Ms Cozens will give evidence about how
8 the technology works in practice and its various
9 functionalities. The Inquiry understands that
10 Oxevision is now deployed across half of all NHS
11 Trusts. The technology has been rolled out within
12 EPUT from April 2020. This afternoon we will play a
13 prerecorded evidence session with Hat Porter, who is
14 a representative speaking on behalf of the campaign
15 "Stop Oxevision". Stop Oxevision is a network of
16 former and current NHS inpatients who, in Spring
17 2023, founded a national campaign to raise awareness
18 of serious harms they say are caused by this
19 technology. "Stop Oxevision" has analysed research
20 and collated an evidence base of individuals'
21 first-hand experiences. Key concerns raised include
22 significant invasion of the privacy of patients, the
23 impact of the technology on the patients' health and
24 recovery and staffing issues. They describe it as a
25 superficial quick fix for wider systemic issues.

1 In their evidence, Hat Porter describes many
2 patients' experience of the technology as being
3 intrusive, undignified, dehumanising and
4 traumatising, and suggests there is a lack of
5 transparency about the technology's use.

6 Tomorrow, we will hear from Zephah Trent, Chief
7 Strategy and Transformation Officer at EPUT. He
8 will give evidence about the use of this technology
9 from EPUT's perspective. Mr Trent gives evidence
10 about the basis upon which Oxevision was introduced,
11 its rollout and implementation at EPUT.

12 Mr Trent has also provided EPUT's latest
13 Standard Operating Procedure, or SOP, for Oxevision.
14 The Trust's position on the use of Oxevision changed
15 potentially significantly in April this year,
16 particularly in relation to the consent process and
17 particularly, it appears, in response to matters
18 raised in NHS England's Principles for Using Digital
19 Technologies in Mental Health Inpatient Treatment
20 and Care report, published in February this year.

21 It was this change in EPUT's position and the
22 late service of a further statement giving notice of
23 this change in position, Chair, that resulted in
24 your decision to postpone hearing the evidence
25 during our April hearing. This has allowed the

1 Inquiry and the other Core Participants to reflect
2 on the new material and for additional enquiries to
3 be made. Chair, you are aware that on 22 September
4 this year Hat Porter provided a second witness
5 statement to the Inquiry on behalf of Stop Oxevision.
6 This second statement addresses issues that have
7 arisen since they first provided evidence, including
8 developments outlined in the further statements
9 provided by Mr Trent and raises concerns about
10 Oxevision and the use of that technology by EPUT.
11 Stop Oxevision remain concerned, in particular about
12 the consent procedures around Oxevision.

13 As I have already outlined, for the majority of
14 this hearing, Chair, the Inquiry will hear oral
15 evidence from 18 further bereaved families. May I
16 say again, the Inquiry is very grateful indeed to
17 those witnesses for their courage in sharing their
18 accounts. The Inquiry will hear about the following
19 people who have died:

20 Bethany Lilley, who died on 16 January 2019,
21 aged 28. We will hear evidence from her brothers,
22 Alexander and Peter Guille.

23 Dorothy Redditt, who died some time between 15
24 and 16 March 2021, aged 84. We will hear evidence
25 from her daughter, Jane Stanford.

1 Doris Joyce Smith, who died on 14 October 2020,
2 aged 74. We will hear evidence from her son, Paul
3 Rucklidge-Smith and his partner Anna
4 Rucklidge-Smith.

5 Keith Stubbings who died on 24 April 2019, aged
6 61. We will hear from his niece, Samantha Reains.

7 Valerie Dimoglou, also known as Val, who died
8 on 19 October 2015, aged 76. We will hear evidence
9 from her daughter Sofia Dimoglou.

10 Iris Scott who died on 14 March 2017, aged 74.
11 We will hear evidence from her daughter, Dawn
12 Johnson, and son, Craig Scott.

13 Richard Wade who died on 21 May 2015, aged 30.
14 We will hear evidence from his father, Robert Wade.

15 Lee Spencer, who died on 27 August 2019, aged
16 20. We will hear evidence from Lee's mother, Carole
17 Stokes.

18 Joshua Leader who died on 24 November 2020,
19 aged 35. We will hear evidence from his brother,
20 Daniel Leader.

21 Colin Flatt, who died on 7 September 2021, aged
22 81. We will hear from Colin's partner, Melanie
23 Leahy.

24 Adam Steel, who died on 14 October 2021, aged
25 36. We will hear evidence from Adam's father, Paul

1 Steel.

2 Sophie Alderman, who died on 19 August 2022,
3 aged 27. We will hear evidence from Sophie's
4 mother, Tammy Smith.

5 Norman Noah Dunkley, who died on 15 March 2022,
6 aged 90. We will hear evidence from his daughter,
7 Joanne Woolley.

8 Mark Tyler, who died on 3 September 2012, aged
9 37. We will hear evidence from his ex-wife, Sally
10 Mizon.

11 Margaret Annequin, who died on 3 July 2015, aged
12 68. We will hear evidence from her husband, Timothy
13 Whitfield.

14 Carol Taylor, who died on 21 November 2023,
15 aged 75. We will hear evidence from her husband
16 Ralph Taylor.

17 Peter Ridley Joyce, who died on 17 March 2013,
18 aged 83. We will hear evidence from Peter's
19 children, Deborah Ridley Joyce and Nigel Ridley
20 Joyce.

21 Terrence White, who died on 14 April 2016, aged
22 36. We will hear evidence from his sister, Emma
23 Harley.

24 Chair, the Inquiry will also hear evidence in a
25 private session from a witness to whom you have

1 granted a Restriction Order.

2 From these witnesses, all of whom have set out
3 their recollections, observations and their views on
4 the need for change with courage and clarity, the
5 Inquiry will once again hear about a number of key
6 themes it will be examining during the course of its
7 work. The issues about which we will be hearing
8 during this hearing often repeat and/or mirror those
9 we heard about in July. Those include, but are by
10 no means limited to, inadequate diagnosis and
11 treatment, including a lack of therapeutic and
12 personalised care, such that care and treatment was
13 limited to crisis management. Failures in
14 assessment, ranging from falls risk assessment to
15 the adequacy of mental health assessments. Failures
16 adequately to assess and admit or in some cases
17 assess or admit at all. Inadequate handover upon
18 transfer from one unit to another. Inappropriate
19 medication including overmedication. Failures to
20 engage with families at all stages of care planning
21 and implementation, including a lack of a family
22 voice in care plans and discharge planning.
23 Inappropriate and inadequate communication with
24 families. Inadequate and/or inappropriate discharge
25 decisions and planning. Failure to respond to

1 physical health needs on a ward. Failures and
2 inadequacies in relation to post-death
3 investigations. Failures in relation to
4 recordkeeping and access, including no trust-wide
5 access to records. Lack of compassion shown on the
6 ward by staff. Concerns in relation to the ward
7 environment, including lack of activities and
8 failures to differentiate between different cohorts
9 of patients. Concerns in relation to access to high
10 risk items on the ward. Inadequate communication
11 between service providers, including health
12 services, social services and the police.
13 Inadequate care plans and risk assessments.
14 Failures in observations, including inappropriate
15 use of and overreliance on Oxevision. Failure to
16 observe trust protocols, failures in safeguarding,
17 staff shortages. Adverse coronial findings
18 including neglect riders, Prevention of Future
19 Death reports and findings of fact in relation to
20 failures within internal trust post-death
21 investigations.

22 As I previously said in my July opening
23 statement, many families have sadly become experts
24 in some of these areas and, therefore, are uniquely
25 placed to speak to these important issues. I should

1 also reiterate, as I did in July, that the witness
2 statements provided for this hearing by those
3 witnesses will stand in full as their evidence. I
4 say this as the statements will not be read out in
5 full during the course of the hearing. Rather, the
6 witnesses will be asked careful and focused
7 questions about what they have written and the
8 issues they have raised. Those witness statements
9 will be published on the Inquiry's website once each
10 witness has given their evidence. May I say once
11 again, for the avoidance of doubt and for clarity,
12 that copies of the statements that are published
13 will be redacted in line with the Inquiry's
14 published approach. There are two main categories
15 where redactions may be applied. Staff names,
16 including those of junior staff, will generally be
17 disclosed in the course of the Inquiry. Individuals
18 can apply for their names to be withheld, however,
19 in line with relevant law and the Inquiry's protocol
20 on Restriction Orders. Each application for a
21 Restriction Order will be considered individually by
22 the Chair.

23 Some staff may need time to decide whether to
24 apply for anonymity and to seek legal advice. While
25 they are given this time, their names will be

1 redacted temporarily. This ensures fairness. To be
2 clear, in many cases those redactions are likely to
3 be temporary only.

4 Second, methods of self-inflicted death or
5 self-harm. These details as well as other highly
6 distressing content, may be redacted to protect the
7 public from potential harm. The Inquiry may also
8 apply redactions where it considers the information
9 is unusual and could instruct others.

10 There is also other information, which may fall
11 under the Inquiry's privacy information protocol.
12 This will be information which is personal in nature
13 and which you, Chair, do not consider relevant and
14 necessary to be made public. This would include
15 details such as someone's address or other personal
16 sensitive information.

17 Finally, in this section of the opening, can I
18 also remind those following and engaging with the
19 Inquiry that it has in place further various
20 protocols. This is with the aim of assisting those
21 who wish to engage with the Inquiry in providing the
22 best possible evidence, in a way that also ensures
23 they are supported through the process. All
24 documents are accessible on the Inquiry's website
25 and kept under review. Chair, you have a wide

1 discretion to put in place measures to support
2 witnesses giving evidence. The Inquiry will
3 continue to work with witnesses and their legal
4 representatives to take an individualised approach
5 as far as is reasonably possible.

6 I move now to the timetable. The Inquiry will
7 sit on Monday to Thursday during this week and next
8 week, in the third week we will sit on Monday and
9 Tuesday.

10 For this hearing we will generally start at
11 10 am and finish by 4 p.m. There will be a short
12 break in the morning and in the afternoon, in which
13 teas and coffees will be provided for those who are
14 attending. There will be a one-hour break for lunch
15 each day. This is all subject to the need for the
16 Inquiry to proceed flexibly and take more breaks or
17 make other arrangements as required to support
18 witnesses. It is not necessary to attend the
19 hearing in person to follow the Inquiry's
20 proceedings. Core Participants and their lawyers
21 who are not attending in person can watch the
22 hearing live on a secure weblink. The hearing will
23 also be live streamed on the Lampard Inquiry YouTube
24 channel, for anyone who wishes to follow us
25 remotely, but please note this will be streamed with

1 a time delay of 10 minutes.

2 I have previously referred to the changing
3 mental health landscape against which the work of
4 the Inquiry is taking place. During my opening in
5 July, I made references to the NHS 10 Year Health
6 Plan for England, which includes proposed measures
7 of relevance to the work of this Inquiry and which
8 the Inquiry is considering carefully alongside its
9 work. The Inquiry is also closely following the
10 progress of the Mental Health Bill, this bill which
11 will result in the most significant changes to
12 mental health care since the Mental Health Act over
13 40 years ago, is now in its report stage and is due
14 back in the House of Commons tomorrow, in fact, so
15 that MPs can debate the amendments that have been
16 made to it. In order to ensure we work towards
17 meaningful and relevant recommendations the Inquiry
18 is monitoring not only the significant changes
19 proposed by the bill but also what the bill does not
20 yet appear to propose.

21 Furthermore, in a significant and important
22 development for all public inquiries, last month saw
23 the introduction of the Public Office
24 (Accountability) Bill and the specific proposals for
25 duties of candour and assistance, including when

1 engaging with public inquiries. Whilst it is right
2 to say that there has long been a statutory duty of
3 candour for organisations who provide healthcare, we
4 note that the position is underlined as NHS bodies
5 and those who work for NHS bodies are specifically
6 listed amongst those to whom the new proposed duties
7 of candour and assistance apply. This Inquiry
8 welcomes any measures intended to improve the
9 prospects of full and frank disclosure at all stages
10 of an investigation, whether related to healthcare
11 or otherwise.

12 The Inquiry also notes with interest the
13 proposed amendments to the Inquiries Act 2005,
14 including the proposed power to be afforded to a
15 chair to report a public authority, if they have
16 concerns about its conduct and engagement with
17 public Inquiry.

18 Last Wednesday, 8 October, the Independent
19 Advisory Panel on Deaths in Custody report on Mental
20 Health Act deaths was published. The chair of the
21 IAPDC, Lynn Emslie states in the foreword:

22 "The IAPDC's latest statistical analysis of
23 deaths in custody found that patients detained under
24 the MHA have the highest rate of death in all
25 detention settings, including three times higher

1 than that of prisons. However, unlike deaths in
2 prisons, immigration detention, and police custody -
3 which are independently investigated by the Prisons
4 and Probation Ombudsman and the Independent
5 Office for Police Conduct respectively - the
6 deaths of patients detained under the MHA are not
7 investigated by an independent body prior to an
8 inquest."

9 The report recommends that the Department of
10 Health and Social Care establishes an independent
11 investigation mechanism to look at all deaths under
12 the MHA. The IAPDC believes this should include
13 clinical leadership and collaboration with expert
14 organisations such as the Parliamentary and Health
15 Service Ombudsman and the Health Services Safety
16 Investigations body or HSSIB, and regulators like
17 the CQC to meet common aims of improving patient
18 safety.

19 Chair, shortly before this hearing you received
20 a joint written application from the legal
21 representatives acting for bereaved families seeking
22 permission to address you directly in relation to a
23 number of matters. As you have already indicated,
24 you have considered that application carefully and
25 whilst you have determined that for difficult and

1 delicate scheduling reasons, for scheduling family
2 evidence, you could not accommodate those
3 submissions at the outset of this hearing.
4 Nevertheless, you consider it very important that
5 legal representatives are provided with an
6 opportunity to address you directly. As a result,
7 you have directed that a specific hearing day be
8 held in early December to provide this opportunity.
9 This will also allow the circulation of the
10 Inquiry's investigative strategy. Further details
11 of that hearing will be announced shortly after this
12 one.

13 As I have already outlined in this opening
14 statement, Chair, the Inquiry is working hard
15 towards the disclosure and presentation of evidence
16 in 2026, both within and outside of its hearings
17 structure. The next public hearing at which
18 substantive evidence will be presented will be in
19 February 2026 when the Inquiry will hear from the
20 remainder of those who tragically lost family
21 members and who wish to give live evidence to the
22 Inquiry. Thereafter, at future public hearings the
23 Inquiry will explore its illustrative cases and will
24 hear evidence relating to the themes and issues of
25 concern that arise in order to meet its Terms of

1 Reference.

2 Whilst it is important to underline the sheer
3 volume of work that is taking place separately
4 alongside our hearings, disclosure of which will be
5 made starting in the early part of next year, the
6 Inquiry recognises the paramount importance and
7 significance of exploring issues in public. In
8 order to ensure that sufficient hearing time is
9 available, Chair, you have directed that a further
10 substantive hearing be arranged for October next
11 year, beginning on 5 October 2026 for a period of
12 three weeks. That hearing will once again take
13 place in Essex. It will be followed by a short
14 break before the Inquiry resumes at the end of
15 November 2026 for the purpose solely of hearing
16 closing submissions. Not only will this provide
17 additional hearing time, it will also provide space
18 and opportunity for the preparation of those
19 important closing submissions.

20 Chair, that further announcement in relation to
21 the Inquiry's future hearings brings me towards the
22 end of my opening remarks. Your aim and the aim of
23 this Inquiry, Chair, is to bring about long-awaited
24 improvements in mental health care. May I say
25 again, Chair, to you, to all of the Core

1 Participants in this Inquiry and to the wider
2 public, that your team remains committed absolutely
3 to doing whatever it takes to help you scrutinise
4 the provision of mental health inpatient services
5 in Essex and make meaningful recommendations for
6 long-term change. It is clear that this change is
7 still needed against the backdrop of last Friday's
8 World Mental Health Day. This Inquiry was
9 particularly saddened to see in the media, just last
10 week, reports that a patient in mental health crisis
11 at Colchester Hospital had waited over 100 hours for
12 an inpatient bed. Chair, a written version of this
13 opening statement will shortly be available on the
14 website.

15 Before I finish, I would like to make clear
16 that this opening statement has been written with
17 the considerable assistance of my colleagues,
18 particularly Ms Harris. I am very grateful.

19 Chair, that is the end of the opening
20 statement. May I ask that we rise for ten minutes
21 for the first witness. That will take us to
22 half-past 11, 11.30.

23 THE CHAIR: Half-past 11.

24 MR GRIFFIN: Thank you very much.

25 (11.17 am)

1

(Break)

2 (11.35 am)

3

LAURA COZENS (sworn)

4

Examined by MR GRIFFIN KC

5

Q. Thank you. Please provide your full name.

6

A. My full name is Laura Cozens.

7

Q. You have provided the Inquiry with two statements.

8

Do you have the statements in front of you?

9

A. I do.

10

Q. Dealing with your first statement, please, is it

11

dated 19 February 2025 and is it 25 pages long?

12

A. That's correct.

13

Q. And if you go to the last page, can we see that you

14

have made a statement of truth at the bottom and you

15

have signed it?

16

A. That's correct.

17

Q. And in fact you signed it on 19 March 2025; correct?

18

A. That's correct.

19

Q. Can we go to your second witness statement, please

20

is it dated 28 August 2025?

21

A. That's correct.

22

Q. Is it 21 pages long?

23

A. That's correct.

24

Q. And similarly if we go to the last page, can we see

25

the statement of truth and your signature?

1 A. You can, yes.

2 Q. And in fact you signed it on 29 August 2025;
3 correct?

4 A. That's correct.

5 Q. Have you had the opportunity to read through the
6 statements recently?

7 A. I have, yes.

8 Q. And can you confirm that they are accurate to the
9 best of your knowledge and belief?

10 A. I can.

11 Q. Thank you. You are welcome to refer to them as you
12 wish.

13 A. Thank you.

14 Q. Your statements will stand as part of your evidence
15 along with the exhibits you have provided. I am
16 not, therefore, going to be asking you about
17 everything that appears in your statements, but I do
18 now want to move on to cover our first topic and
19 that is your role, please. You work at a company
20 that is now called LIO but was formerly called
21 Oxehealth Limited; is that correct?

22 A. That's correct.

23 Q. We will come on to the rebranding in a moment. For
24 the purposes of today, I am going to refer with you
25 to Oxehealth just for the sake of simplicity?

1 A. Yes.

2 Q. When did you join Oxehealth?

3 A. I joined Oxehealth in May 2022.

4 Q. And you are Head of Patient Safety and Quality; is

5 that right?

6 A. That's correct.

7 Q. What does that role entail?

8 A. So that role entails -- I am the clinical safety

9 officer, so I work closely with our regulatory and

10 compliance team. I also manage our training and

11 support team, so have overall responsibility of

12 ensuring that the product training that we offer

13 customers, and managing the two members of staff

14 within that team, and I also liaise with other teams

15 within the company.

16 Q. Thank you. Do you hold a Bachelor of Science degree

17 in mental health nursing?

18 A. I do, yes.

19 Q. And a Postgraduate Diploma in clinical forensic

20 psychiatry?

21 A. I do, yes.

22 Q. Have you been a registered mental health nurse since

23 2011?

24 A. I have, yes.

25 Q. Before joining Oxehealth, did you work in the NHS in

1 various positions, including, lastly, as a senior
2 clinical manager within high secure forensic
3 services?

4 A. That's correct.

5 Q. Could we move then to Oxehealth the company. In
6 your first statement, you describe Oxehealth as a
7 health technology company; is that correct?

8 A. That's correct.

9 Q. Is it based in Oxfordshire and was it founded in
10 2012?

11 A. It was.

12 Q. When did the company first start selling its
13 technology for use within mental health inpatient
14 units on wards?

15 A. So Oxehealth was founded in 2012. Then over in
16 2014, 15 and 16, there were a couple of studies that
17 were carried out and then the first commercial
18 deployment, I believe, was around 2017.

19 Q. Thank you. Did the company originally develop its
20 technology for settings other than mental health?

21 A. So in 2012 there were studies within premature
22 babies and dialysis patients at Oxford University
23 Hospital. These were in early stages looking at a
24 prototype technique to be able to measure vital
25 signs in a contact free way.

1 Q. Has the technology been used in police custody
2 suites?

3 A. It has.

4 Q. And was that in the early stages of its deployment?

5 A. It still currently is.

6 Q. So moving then to the current position, other than
7 mental health settings and police custody suites,
8 where is this technology deployed?

9 A. So it's within police custody suites, mental health
10 settings and that includes section 136 suites and
11 health based places of safety.

12 Q. So the section 136 suites, the health based places
13 of safety, mental health settings more generally,
14 and police custody suites, is that the entirety of
15 the environments in which the technology has been
16 deployed?

17 A. I believe there was a deployment within the Prison
18 Service but I would need to double check that.

19 Q. Is that a past deployment, not present?

20 A. Past.

21 Q. Thank you. Can we deal now with the rebrand to LIO.
22 I am going to ask that part of your second statement
23 is put up on our screens. This is the second
24 statement, Amanda, at page 21. So OXHE009987.
25 Could you expand 98 to 100, please. There we go,

1 thank you. So you say here that:

2 "On the 13th August 2025 Oxehealth announced
3 that Oxehealth is evolving into LIO - a new
4 identity.

5 We have listened to what matters most and made
6 LIO more adaptable to the diverse and evolving need
7 for patients and staff.

8 Building on the foundations of Oxevision, a new
9 platform will be introduced in 2026 which will bring
10 together ambient patient monitoring, digital
11 observations and management insights in one
12 purpose-built solution."

13 We will come on to talk about Oxevision in a
14 moment but can you first tell me what you mean by
15 paragraph 99 and what the reason for the rebrand
16 actually is?

17 A. So it's not unusual for companies to rebrand and the
18 rebrand was a long-standing project that was well
19 underway prior to us being contacted or involved
20 with the Inquiry. That is, we have listened to
21 comments from customers, from experts by experience
22 that we work with, and taken all of those on board
23 and are in the process of developing a new platform,
24 which would cover a number of different areas of the
25 platform.

1 Q. Would you accept that this rebrand is taking place
2 during a time where the technology we will be
3 discussing, Oxevision, is being criticised and the
4 system is garnering press attention?

5 A. I think as I said, the rebrand was a long-standing
6 project that was well underway prior to any
7 involvement with the Inquiry.

8 Q. So is your evidence that the rebrand has nothing to
9 do with the recent press attention concerning
10 Oxevision?

11 A. That's correct.

12 Q. Could you take that down, please. In your first
13 statement you describe Oxevision as a contactless
14 patient monitoring system for mental health
15 hospitals and other settings. Can you, in general
16 terms, tell us what its purpose is, please?

17 A. So there are many elements to the platform. So
18 you've got the ability to be able to take contact
19 free vital signs. So that's pulse rate and
20 respiration rate. The system also provides safety
21 alerts and warnings, which can be configured
22 depending on the patient population, and that is
23 down to the customer's choice. There is a module
24 around mental health observations, so I think we
25 have heard from other witnesses that within mental

1 health inpatient services all patients are subject
2 to periodic checks. These could be every 15
3 minutes, every hour, those general observations. I
4 think what we see within mental health services is
5 staff still walk around with a clipboard and pen,
6 writing down these observations, which can be quite
7 timely and from an audit process not very effective
8 and from a compliance point of view. So part of the
9 platform is digitalising that practice so there's a
10 module to do that.

11 Q. So is it installed in bedrooms only?

12 A. That's correct.

13 Q. Not in bathrooms or communal areas?

14 A. That's correct.

15 Q. And as we have heard, does that include rooms --
16 seclusion rooms and health-based places of safety?

17 A. That's correct.

18 Q. Thank you. We are going to come back to look at
19 what you have just said in more detail, but can we
20 start with the physical components of the
21 technology, please. Can you first of all describe
22 the camera that is part of this system?

23 A. So the platform uses a combination of software and
24 hardware. So the hardware is made up of a camera
25 and two infrared illuminators which are housed

1 within a secure housing unit within the patient's
2 bedroom. This is normally located between the wall
3 and the ceiling. It is probably about that size in
4 length.

5 Q. You are indicating maybe a little over a metre.
6 What we will do a little later on is we will look at
7 a picture of all of these pieces of hardware. So
8 there is the camera with the infrared illuminators,
9 and there are also monitors and tablets, could you
10 describe those please?

11 A. So the system provides information to staff on
12 portable tablet devices so they have got access to
13 all the information when they are on the ward, but
14 there is also a fixed monitor in the nurses' office
15 which is hardwired.

16 Q. So the tablet devices, are they a little like iPads?

17 A. Yes, they are not iPads, but yes.

18 Q. And how many, typically, tablets would there be on
19 each ward?

20 A. So two to three, but if a ward had the Oxevision
21 observation module, then there would be more.

22 Q. You have referred to the Oxevision system being
23 contact free. Can you explain what you mean by
24 that, please?

25 A. So what I mean is that there is nothing that the

1 patient has to wear. So there's no wearables. It's
2 able to remotely monitor with nothing attached to
3 the patient.

4 Q. And you have said "remotely". Is it right that
5 staff don't actually need to be with the patient to
6 use the system?

7 A. That's correct.

8 Q. I would like to come on to one aspect of the
9 technology referred to as Oxehealth Vital Signs,
10 please. You say this is in your first statement and
11 can we put this up, please? It is the first
12 statement at paragraph 14. That's OXHE009031.
13 Thank you very much. So we can see here that
14 Oxevision, and I am quoting from 14:

15 "Oxevision includes two regulated medical
16 devices:

17 Oxehealth Vital Signs" -- so that's the one we
18 will focus on -- "It can be used to measure a
19 patient's vital signs (pulse rate 50-130 beats
20 per minute and breathing rate 8 to 39 breaths
21 per minute) and will not give measurements outside
22 these ranges. It provides a 15-second live, clear
23 video feed into a room at the point at which a pulse
24 and breathing rate observation is being taken to
25 allow the clinician to confirm suitability."

1 Can we see in the first of the two bullet
2 points:

3 "Spot-check vital signs measurements are taken
4 manually when a staff member clicks into the 'Take
5 Vital Signs' workflow for the selected room."

6 We will come on to look at aspects of that in a
7 moment. Can I ask you a more basic question at this
8 stage. Why is it necessary to monitor these in
9 mental health settings?

10 A. So I think there are many reasons. So within mental
11 health settings people still have physical health
12 issues that need to be addressed and people have
13 pre-existing physical health concerns. Quite often
14 within mental health, the medication that patients
15 are prescribed can have a sedative effect, so being
16 able to monitor those vital signs from that point of
17 view. There was an example that during COVID we
18 know that from a physical health point of view the
19 effect of COVID on respiratory rate, so breathing
20 rate, so being able to monitor that. And also from
21 the point of view of, I was talking earlier about
22 those general mental health observations that need
23 to take place.

24 Q. We will come on to those, thank you very much. But
25 just in terms of taking vital signs measurements,

1 those would be the primary reasons for the need in
2 the context of a mental health setting?

3 A. Yes. And you have got the example of if somebody's
4 in seclusion as well, being able to closely monitor.

5 Q. You say that Vital Signs, and we can see at the top
6 of the screen, is a "regulated medical device".
7 What do you mean by that, please?

8 A. So there are two regulated medical devices to the
9 platform. One of those is the "Take Vital Signs"
10 and the other is our sleep module. So what that
11 means is it's subject to regulations and monitoring
12 by a notified body, so subject to increased
13 regulation. Technical documentation reviews and
14 they happen unannounced and announced, both with
15 audits as well. So every year there's a planned
16 audit by the British Standards Institute and every
17 five years, approximately, there's an unannounced
18 audit. And the purpose of those are to go through
19 our quality management system and the, all the
20 records that we keep on those devices so our
21 technical files, and they are regularly submitted
22 for review, approximately every three years.

23 Q. Is it cleared by the Medicines and Healthcare
24 products Regulatory Authority, the MHRA?

25 A. That's correct.

1 Q. Can you tell us what, you have just described part
2 of the process, is that -- you talked about the
3 British Standards Institute, do you know what the
4 MHRA does in respect of this technology?

5 A. So I believe, I will double check but the British
6 Standards Institute communicate with MHRA.

7 Q. Do either the BSI or the MHRA consider the ethical
8 implications of the use of Vital Signs in mental
9 health inpatient care?

10 A. So the BSI review any claims that we make around
11 safety and effectiveness.

12 Q. Do you know to what extent either consider whether
13 it's appropriate in the first place to put this kind
14 of technology in the bedroom of a mental health
15 inpatient?

16 A. I don't.

17 Q. You have provided the Inquiry with a document that
18 explains how the infrared camera works within the
19 Oxevision system. It says this:

20 "When your heart beats your skin flushes red.
21 The human eye cannot see those micro-blushes but
22 Oxevision's infrared sensitive camera can. The
23 system counts these micro-blushes to calculate a
24 pulse rate. The system collects breathing rates by
25 counting the rise and fall of the individual's

1 chest."

2 Now, does that correctly summarise how this is

3 working?

4 A. Yes.

5 Q. Thank you. So the system will need access to a

6 person's skin and will need to be able to see the

7 rise and fall of their chest if it's to operate for

8 vital signs purposes?

9 A. Yes, so access to the skin in order to be able to

10 measure pulse rate and the rise and fall of the

11 chest for breathing rate.

12 Q. Thank you very much. Is Oxevision a type of

13 technology that is sometimes referred to as a

14 vision-based patient monitoring system?

15 A. It has been, yes.

16 Q. And sometimes that's referred to as a VBPMS or just

17 VBMS?

18 A. That's correct.

19 Q. Thank you. Do you know whether there are companies,

20 other than Oxehealth, that provide this technology

21 to the NHS within England?

22 A. I believe there may be one other company. It is my

23 understanding that they do not have a registered

24 medical device yet, I believe.

25 Q. Thank you. Just discussing using the vital signs

1 function, is the process that a clinician first
2 accesses 15 second live clear video feed of the
3 patient in their room?

4 A. So the first step of that process is the system
5 provides an up to 15 seconds --

6 Q. Up to?

7 A. Yes.

8 Q. And when we say "clear video feed", could you just
9 be clear about what that means?

10 A. It is a clear live picture of the room.

11 Q. So it's what most people would consider a video feed
12 to be?

13 A. Yes.

14 Q. Why is it necessary that a clinician accesses up to
15 15 seconds of clear view prior to taking -- making a
16 vital signs check?

17 A. So there are two points to this. So the first point
18 being that you are taking somebody's pulse and
19 respiration rate and, therefore, that would form
20 part of their medical record. So you want to assure
21 yourself that that is the person that you expect to
22 be in that room and that another patient isn't in
23 there. And the other purpose is to be able to
24 answer the first question within the work flow; and
25 that question is, is the subject still?

1 Q. We will come on to see that. Thank you. We can see
2 reference in that first bullet point to spot check
3 vital signs measurements being taken by clicking
4 into the system and we will also come on to that in
5 a moment.

6 A. Okay.

7 Q. Can we just look at the bottom bullet point on the
8 screen, please. It says this:

9 "The vital signs trends chart shows a summary
10 of average vital signs data that is automatically
11 generated in the background to assist trend
12 identification. It cannot be used in isolation to
13 measure or monitor pulse rate or breathing rate."

14 Amanda, would you go over to the top of the
15 next page, please. Then we can see here:

16 "The vital sign trend data is represented
17 by grey trends diamonds on the report which show a
18 summary of average collected by Oxevision for at
19 least 75 seconds of a five minute period, vital
20 signs data."

21 There is quite a lot to unpick there. Can you
22 explain what is being described there?

23 A. So one of the reports of the system is what we call
24 the vital signs trends report. Now, this is a
25 report which has two graphs, so there's a graph at

1 the top and a graph at the bottom. I believe the
2 graph at the top is pulse rate and the bottom graph
3 is breathing rate. What this shows is it's got the
4 scale of the measurements on the left-hand side and
5 then across the bottom there's a 24 hour period.
6 Now on each of these graphs it will show you when a
7 staff member has gone through the vital sign work
8 flow and obtain spot check measurements so there's
9 medical device measurements. These will be
10 represented by a red or a blue dot depending on
11 which graph. Now, as a clinician you've got the
12 ability to be able to select these red and blue dots
13 so you can see what that measurement was and at what
14 date and time that was taken. What the report also
15 shows is grey diamonds, and these grey diamonds
16 represent an average of what's going on -- an
17 average measurement for what's going on for that
18 patient. So they are not actual spot check
19 measurements because you have not gone through the
20 work flow on the vital signs, but it provides an
21 average over a 5 minute window of what's going on
22 for a patient.

23 Q. Can I ask you this. Does that mean that Oxevision
24 cameras attempt to take continuous vital sign
25 measurements without manual prompts from staff?

1 A. So the system is constantly monitoring the room.

2 Q. So the system is constantly monitoring the room, so
3 the system, absent any staff request or operation,
4 is engaging with the patient and trying to take
5 vital signs measurements itself?

6 A. Not necessarily taking vital signs measurements, but
7 it's working out that average over a five minute
8 window. They are not actual measurements those grey
9 diamonds.

10 Q. But is it doing so in the same way you described
11 before by looking at micro-blushes in the skin and
12 the rise and fall of the chest?

13 A. That's correct.

14 THE CHAIR: Hang on, let's be clear about this, you
15 referred to two graphs, red dots and blue dots, and
16 that demonstrates that there is constant monitoring
17 by the system?

18 A. No. So those red and blue dots are the actual
19 measurements that have been taken by a clinician
20 going through the take vitals work flow. So they
21 are the actual spot check measurements.

22 Q. Right.

23 A. Then the grey diamonds are a trend of what's
24 happening in the background, so it's not an actual
25 measurement because it's an average over a

1 five-minute period.

2 MR GRIFFIN: Let's be completely clear about this. So it

3 appears that there are two ways for this system to

4 make measurements of vital signs. One involves

5 staff input; correct?

6 A. That's correct.

7 Q. And that is by clicking through to get the clear

8 view first, and then clicking, as we will see, on a

9 screen and taking a manual spot check?

10 A. That's correct.

11 Q. But quite separate from that, the system itself is

12 continuously monitoring the person in the room and

13 trying itself to take the same measurements?

14 A. To be able to provide that average, yes.

15 Q. To provide an average, so it's less accurate, is it?

16 A. It's not medical grade because it's an average over

17 a five-minute period, so it's not done at a point in

18 time.

19 THE CHAIR: And how does it overcome what you said was

20 the need for the observation at the same time, the

21 clear view 15 second observation? You said then

22 that there was an issue with trying to identify that

23 somebody was alone in the room and that they were

24 resting. How does that five minute average

25 overcome, as it were, those particular restrictions

1 on how accurate it is?

2 A. So as I said before, the grey diamonds aren't an
3 actual medical grade reading. It is an average.
4 The system knows when, if it knows that the room is
5 occupied and that a second person has entered, it
6 recognises that. And it's -- it's over that
7 five-minute window, but what it needs is 75 seconds
8 of confidence within that five minute window in
9 order to be able to produce a grey diamond.

10 MR GRIFFIN: So if there are two people in the room, the
11 system won't necessarily be taking the vital signs
12 of the patients, it may be someone else?

13 A. That wouldn't appear on the graph.

14 Q. How would the system know?

15 A. The system knows when there's multiple occupants
16 within the room.

17 Q. And does not take signs during that time?

18 A. As far as I'm aware, yes.

19 Q. Can you take that down, please. To follow up on
20 vital signs I would like to go to a slide deck that
21 you have provided the Inquiry with, which you tell
22 us in your statement was provided by Oxehealth to
23 EPUT for a meeting on 4 March 2020. Could you put
24 up please OXHE009041, at page 15. Right. We will
25 just look at aspects of this slide deck and sorry

1 that's actually the patient or not; is that correct?

2 A. That's correct.

3 Q. So if there's only one person in the room and it's

4 not the patient, it could be picking up the vitals

5 of somebody completely different?

6 A. So the system, yes, the data is based by room rather

7 than by a patient in relation to that. The

8 Oxevision observations module is slightly different.

9 Q. We will come on to that in a moment, thank you very

10 much. So can we put up the document that I tried to

11 go to before, Amanda, please. Just to remind

12 people, this is -- actually that's showing just part

13 of the -- there we go, thank you. Thank goodness.

14 This is from 2020, this slide deck and can you just

15 explain to us here, what we can see is a slide with

16 a series of green tiles with room numbers on them

17 and a window in the middle for room 4 and it says on

18 it, "Either pause for 15 minutes" or under "Vital

19 Signs", circled, "Take observation". Can you tell

20 us from your experience what the text underneath

21 that says?

22 A. So this is a screenshot from 2018, I believe. Yes,

23 so this is how the system used to look, so the

24 system doesn't look like this any more. However

25 what that shows is that room 4 has been selected

1 from the room tiles. You have then got that pop-out
2 tile and it then it has got "Vital Signs" and "Take
3 Observations". So that would take you into the
4 vital signs work flow.

5 Q. When it says "Pause for 15 minutes" what would that
6 be for?

7 A. That's pausing the system. An example of this would
8 be in older adult settings, for instance. If
9 clinicians needed to go in to deliver personal care,
10 you've got the ability to be able to pause the
11 system so therefore basically it switches the system
12 off for that period of time.

13 Q. Is that a facility, as far as you are aware, that is
14 available at EPUT?

15 A. Yes.

16 Q. Thank you. What does it say under "Take
17 Observations"? It's difficult to read?

18 A. I think it says "Observation History".

19 Q. Yes?

20 A. Yes, observation history, thank you. So that will
21 show you the vital signs that have been taken for
22 that room. I am unsure as to whether the vital sign
23 trend function had been introduced at this point.

24 Q. Understood.

25 A. I think that's outlined in my statement.

1 Q. Amanda, could you show the full screen again,
2 please. This is the screen from the monitor or
3 tablet. Is that correct?

4 A. That's correct.

5 Q. Is this the start of the vital signs spot-check
6 process?

7 A. As I say, this is old so this is no longer the
8 process now. However, in 2018 that would have been
9 the process.

10 Q. One selects a room and then taps "Take Vital Signs"?

11 A. Yes, so each room is donated by a tile, which you
12 can see underneath there, and then you've got the
13 ability to select that room and select "Take
14 Observations".

15 Q. In what way has this changed after 2018?

16 A. It looks very different. Each room is still donated
17 by a room tile, however now when you select on a
18 room, you've got access to all information for that
19 room. So you've got access to the activity report
20 the vital sign trend report, the observation history
21 so the mental health observation history.

22 Q. So it gives you access more quickly to more
23 information?

24 A. It gives you all the information for that room in
25 one place. Also the wording, it says "Take Vital

1 Signs".

2 Q. So that has changed?

3 A. That changed, yes.

4 Q. When did that change?

5 A. That changed, there's been various changes since

6 this one in 2018. So there's been a number of

7 different changes to how the home screen looks and

8 how it's set out in relation to when you select a

9 room.

10 Q. So you say in your statement that this slide deck

11 was provided to -- by Oxehealth to EPUT for a

12 meeting in March 2020. So changes would have been

13 at some stage after that; correct?

14 A. There's been many changes since then.

15 Q. But the essential point we are looking at here is

16 that you bring up, you select a room via the monitor

17 and then click on a part of the monitor to take

18 vital signs remains the same?

19 A. Yes.

20 Q. Thank you. Can we go to the next slide, please, and

21 can we see the full slide. This says:

22 "Step 2: Check if the patient is still and

23 click Ready For Observation."

24 And we can see guidelines for considering the

25 patient to be still can be found in the instructions

1 for use. We see underneath:

2 "The patient must be still to get a reliable

3 reading. If you are unsure, do not proceed."

4 Can you explain a little bit more what is going

5 on in this slide?

6 A. So that's the first question of the work flow where

7 the system is asking if the subject is still. You

8 would use the view of that room to check if the

9 patient is still. You would then select, I believe

10 that says "Ready for Observation", the blue button.

11 Q. So this is all part of the process of checking

12 whether it is appropriate to take the vital signs?

13 A. That's correct.

14 Q. And as we can see there, the patient has to be

15 still. It won't work if the patient is moving

16 around?

17 A. They have got to be relatively still, yes.

18 Q. Next slide, please. So this is stage 3 or step 3

19 and we have got some interesting language here:

20 "Step 3: Check if there are blobs that do not

21 touch the body & click No."

22 And we can see on the right-hand side:

23 "Blobs on skin = pulse rate.

24 Blobs on body = breathing rate.

25 Examples can be found in Instructions For Use."

1 At the bottom we can see:

2 "The blobs must be on the body to get a

3 reliable reading. If the patient is completely

4 covered, proceed with caution."

5 Would you just explain what's going on there,

6 please?

7 A. So this is the second stage of the workflow. I just

8 want to highlight here that this image is now a

9 paused image. This is no longer a live image of

10 that room. So the system basically takes a screen

11 grab, a screenshot so to speak, from the first

12 question and then what the system is asking, it

13 overlays that paused screenshot with blue blobs, and

14 that's indicating to the user where the system is

15 intending to take those measurements from. So an

16 example, I can give would be it's, if there is an

17 air flow mattress, for instance, being used in a

18 room, the system may interpret the rise and fall of

19 an air flow mattress as the rise and fall of

20 somebody's chest. But what it would do is it would

21 put one of those blue blobs on to that mattress area

22 rather than the person. So as long as you are

23 satisfied that those blobs are on the person, you

24 would then select "No".

25 Q. Can we actually see a blue blob on the person in the

1 screen here? Thank you. It says here:

2 "If the patient is completely covered, proceed

3 with caution."

4 What does "completely covered" mean in this

5 context? Does it mean the head is covered as well?

6 A. So if somebody was completely covered with a

7 blanket, for example, proceed with caution. Again

8 you would be going through those two stages of the

9 work flow to ensure you are satisfied.

10 Q. Can we go to the next slide, please, so:

11 "Step 4: Record Observation."

12 We can see here under the still, heart rate is

13 given of 93 beats per minute and the breathing rate

14 is given at 30 breaths per minute and the

15 information provided says exactly when that reading

16 was taken. Is that correct?

17 A. That's correct, it's date and time stamped.

18 Q. As we have seen already, there is a bracket both in

19 relation to pulse rate and breathing rate within

20 which this technology can work. In other words it

21 can't take measurements outside those ranges; is

22 that correct?

23 A. That's correct it will not give you a measurement

24 outside of those range.

25 Q. We can see the bottom text:

1 "Work in progress to extend pulse rate range.
2 Updated ranges to be released and as when within
3 Instructions For Use."
4 This isn't for privacy or any other reasons, it
5 is just a limitation of the technology, is that
6 correct?
7 A. As in those ranges?
8 Q. Those ranges, yes.
9 A. Yes.
10 Q. You have told us that this is actually from 2018,
11 have those ranges increased since then as far as you
12 are aware?
13 A. No.
14 Q. Thank you very much. Can we go to the next slide,
15 please. We have got here "Observation History" and
16 we can see screenshots of two screens. We see on
17 one that 'Observation History' is circled and then on
18 the other we see a graph and we see text that says:
19 "Check: the occupancy of a room may have
20 changed within the 24-hour default period."
21 Can we start, please, first, with the
22 screenshot on the left and what that is showing us?
23 A. So that is a picture of the home screen within the
24 background. Then you will see there that the
25 smaller square within that says "Room 4" and it has

1 got "Observation History" with a red circle around
2 it. So somebody has selected "Room 4" and they are
3 then given that menu.

4 Q. And at this stage the vital signs checks have been
5 made and recorded?

6 A. That's correct.

7 Q. So let's see if we can expand the graph, please, on
8 the right-hand. Here we see what I think you have
9 described previously. Is that right?

10 A. No, it's not strictly right. This is the
11 observation history. So these two graphs we are
12 looking at now shows you those actual measurements
13 they have been taken. So this was prior to the
14 vital signs trend because there are no grey diamonds
15 within the background of that.

16 Q. This demonstrates where successful vital signs have
17 been taken, both in relation to heart rate, with red
18 at the top, and breathing rate with blue at the
19 bottom.

20 A. That's correct.

21 Q. And with vital signs trends we might also see grey
22 diamonds?

23 A. That's correct.

24 Q. And that would, as you said, indicate where the
25 system itself has been able to take averages in the

1 background.

2 A. That's correct.

3 Q. Thank you, could you take that down, please. I
4 would like to come on now to alerts and warnings,
5 please. You explain in your first statement, this
6 is paragraph 15, that Oxevision provides location
7 and activity based warnings and alerts, which are
8 configured by each organisation based on what they
9 consider is appropriate for their individual ward
10 settings. Can I ask you, first of all, what is the
11 difference between a warning and an alert?

12 A. So the difference between a warning and alert is the
13 colour of the room tile. So if an alert -- if the
14 room is in a warning state, the room tile -- so if
15 we think back to that home screen where we had green
16 tiles, the colour of the tile would be amber. Now,
17 if an alert has been triggered, the colour of that
18 room tile would be red, but also you would have a
19 audible alert to go alongside the red room tile.
20 Warnings are only visual.

21 Q. Thank you. So let's just unpick that if we may.
22 The audible alert, is it something like "Oxevision
23 alert" literally?

24 A. Now it just says "Alert, alert". It was "Oxehealth
25 alert, Oxehealth alert".

1 Q. So you would hear a person's voice?

2 A. Yes.

3 Q. Thank you. You have told us the difference of

4 effect between a warning and alert in that one leads

5 to an amber tile and one leads to a red tile, but we

6 still don't know the difference between a warning

7 and an alert?

8 A. I think it's important to highlight as well before,

9 that an alert has to be interacted with by staff.

10 So staff have got the ability when the alert is

11 raised, they need to action something. When I say

12 "something" that would all be dependent on what an

13 organisation's standard operating procedure states

14 in relation to the use of the system and how staff

15 should respond to alerts.

16 Q. But in terms of interacting with an audible alert we

17 are dealing with now, can that alert either be

18 paused or switched off or are there other options

19 too?

20 A. So there are two options. One is to view a room, so

21 you are able to view the room, and if I just provide

22 an example to this. So if it's the middle of the

23 night, you are dealing with a patient in room 2, an

24 alert has been raised for a patient in room 6. If

25 the organisation's protocol states staff have got

1 the ability to be able to view that room. Now, what
2 that provides is a anonymized video for that room of
3 up to 15 second. What I mean by anonymized is it's
4 pixelated and blurred, so you couldn't tell --

5 Q. We will come on to the difference between clear view
6 and blurred view at the moment. What I am trying
7 to ascertain at the moment is the difference between
8 an alert and a warning. Could you give us an
9 example of when an alert might be triggered?

10 A. So if I give you an example of "at door" for
11 instance, so predominantly used within working age
12 adult wards. So an organisation may have a warning
13 configured that if somebody loiters within a door
14 area for a set period of time, this raises a
15 warning, so the room tile would change to amber, and
16 then after another configurable set time period, it
17 would change to an alert.

18 Q. So the alert system is in relation to more serious
19 potential situations than the other scenario.

20 A. Potentially.

21 THE CHAIR: Can the warnings be differentiated between
22 individual rooms, individual patients?

23 A. Not at the moment but that's something we are
24 looking at in relation to the new generation of the
25 platform.

1 THE CHAIR: Sorry, thank you.

2 MR GRIFFIN: Not at all, thank you very much. You

3 referred to anonymised view of a room and I would

4 like to turn to that with you now, please. This is

5 also referred to as a blurred view or blurred video;

6 is that correct?

7 A. That's correct.

8 Q. You explain in your statements that Oxevision video

9 data is made available to staff during an alert and

10 you have just been telling us about that. So when

11 there is that kind of alert and the system has

12 triggered it, and we will hear an audible person

13 speaking alert, what happens? What does a member of

14 staff have access to at that time?

15 A. So when that alert is triggered, a member of staff

16 has got access to be able to view that room. So

17 that example that I gave that if you were busy,

18 helping another patient but an alert has been

19 raised -- again, it depends on an organisation's

20 protocol for use, but you've got the ability to be

21 able to view that room, that is a blurred video of

22 up to 15 seconds, in order for you to be able to

23 make that clinical judgment, that actually do you

24 immediately leave what you are doing right that

25 second and attend to the other patient. Do you need

1 to summon help for the other patient immediately, or
2 can you finish what you are doing and then attend to
3 the other patient. But, again, it depends on an
4 organisation's protocol on how staff respond to
5 alerts.

6 Q. So what is blurred precisely, is the whole picture
7 blurred or just the bits of the individual, just
8 their face, for example?

9 A. So it's not personally identifiable data so the
10 person is pixelated.

11 Q. The whole of the body?

12 A. Yes, the whole of the person.

13 Q. We will come back to that a little bit later. Can
14 you confirm that access to blurred view in this way
15 is for up to 15 seconds at EPUT?

16 A. I can.

17 Q. Thank you. There is one question that presents
18 itself, why does a member of staff have access to
19 clear view of a patient for the purposes of taking
20 vital signs, but only a blurred view for a
21 potentially more serious event when an alert has
22 been triggered?

23 A. So for the purpose of taking the vital signs, again
24 you need to identify that that is the patient that
25 you are expecting to be in that room and you

1 wouldn't be able to do that if that was a blurred,
2 pixelated image. However, the other point is a very
3 good point and we have had that raised by a number
4 of customers, that actually a clear view would be
5 better when looking from an alert point of view.
6 However, it was done with privacy in mind.

7 Q. We will come back to the question of privacy in a
8 moment. You have also mentioned already another
9 aspect of the system, Oxevision observations. I
10 would like to move on to that now with you, please.
11 Is that sometimes abbreviated to Oxe-Obs?

12 A. Yes, that's correct.

13 Q. What I am going to do is put up part of Zephan
14 Trent's witness statement. His first statement at
15 paragraph 27. This is EPUT009024, at 7, page 7. Can
16 we see here that Mr Trent says that EPUT has also
17 deployed Oxevision observations, an additional
18 module to Oxevision:

19 "Oxevision observations helps mental health
20 providers, and their staff improve safety with
21 observation compliance; prompting staff to carry out
22 on time observations using a handheld tablet device
23 and giving access to accurate and up to date patient
24 observations for all staff. It supports therapeutic
25 and personalised care as it allows for the recording

1 of comments and individual risk factors."

2 And he says a little bit further down:

3 "Oxevision Observations is a digital
4 observation module within the Oxevision system. The
5 Oxevision Observations module is a digital version
6 of the paper observations record" -- and he goes on
7 to say:

8 "Oxevision Observations is implemented only on
9 Oxevision equipped inpatient wards, seclusion rooms
10 and Health Based Places of Safety to enhance and
11 improve patient care and safety in order to:

12 Provide a clear record of observations in a
13 digital format for integration to the electronic
14 patient record.

15 Assist in the identification of trends.

16 Report on quality of engagement and observation
17 activity."

18 Now does that provide an accurate summary of
19 what Oxevision observations is and which how it
20 works?

21 A. It does.

22 Q. Was Oxevision observations actually developed by
23 Oxehealth in conjunction with EPUT?

24 A. That's correct.

25 Q. I understand from your evidence that that started

1 from, that development started from late 2021. Does
2 that sound about right?

3 A. Yes, October 2021, I believe.

4 Q. Now, it's not clear to me from this description and
5 from what we have seen so far, how a member of staff
6 conducts observations using Oxe-Obs. Can I ask you
7 this, do they do this? Do they perform an in person
8 check, so the member of staff goes to the bedroom,
9 and then logs it electronically through the tablet,
10 for example. Or are they actually using the
11 Oxevision camera to conduct remote observations?

12 A. So again this would depend on an organisation's
13 protocol and how they want their staff to interact
14 with the Oxevision observations module.

15 Q. Do you know what the situation is at EPUT?

16 A. I believe it is that they walk around with the
17 tablet and use that as they are walking around the
18 ward and log those observations as they walk around.

19 Q. We can ask, I will ask Mr Trent about that tomorrow,
20 but does this give the facility to actually conduct
21 a remote observation through the camera, so that a
22 member of staff does not actually need to go and see
23 the patient in person?

24 A. That's correct, yes, and it enables staff to be able
25 to carry out that general observation at night, so

1 less intrusive at night, so staff are able to not
2 have to wake patients up. So at night those general
3 observations that I spoke about earlier continue and
4 as a member of staff you need to assure yourself that
5 that patient is safe and well. So this could result
6 in you having to go into a patient's room. That
7 could be every 15 minutes, every 30 minutes, every
8 60 minutes. Now you may have to turn a light on to
9 be able to see that rise and fall of somebody's
10 chest, you may use a torch. So from an intrusive
11 point of view, you can see how intrusive these
12 observations can be. We know how important sleep is
13 for recovery. Now if somebody is woken up four
14 times an hour during the night, that is not
15 therapeutic. That's not helping that person. So
16 where suitable and in agreement with the patient and
17 the multidisciplinary team and the organisation, you
18 could use the system in that way at night for
19 certain patients.

20 THE CHAIR: Sorry, but I think Mr Griffin's point is
21 whether if you are walking around with the hand held
22 one, you can actually use it for the same functions
23 as the monitors in the nursing station. In other
24 words, for actually undertaking the 15 minute clear
25 view and then prompting the vitals --

1 A. 15 seconds.

2 THE CHAIR: Sorry, 15 second clear view and then
3 prompting the vital signs check?

4 A. Yes, in order to assure yourself that that person is
5 safe and well.

6 MR GRIFFIN: Thank you. So there are two ways of
7 conducting of observations using Oxe-Obs. One is to
8 use the tablet, effectively, just to input
9 information from an in-person view. The other is
10 not to visit the patient at all but to conduct the
11 observation remotely through the screen or tablet;
12 is that correct?

13 A. You could do that and again it depends on the
14 organisation.

15 Q. You said you didn't know really what happened at
16 EPUT; is that correct?

17 A. I believe, and again this would be a question for
18 EPUT but I believe EPUT walk around with their
19 tablet and record those observations.

20 Q. Are you aware of concerns that had been raised in
21 relation to the use of Oxevision at EPUT, that staff
22 have become over-reliant on observations that are
23 conducted remotely through the tablet or through the
24 screen?

25 A. I was aware of that information through some of the

1 inquests that I have attended --

2 Q. So it would appear, wouldn't it, that at EPUT they

3 are conducting observations, at least some remotely,

4 not just at night but at all times?

5 A. It would appear that way from that information.

6 Q. Can I ask you this; when conducting a remote

7 observation, what is a member of staff able to

8 access. Is it clear view or blurred view?

9 A. Are you talking about the take vital signs?

10 Q. Well, I am just trying to understand how you are

11 able to make an observation remotely using the

12 system and a monitor or a tablet. Can you just take

13 us through that process?

14 A. So there's two ways that you can access the take

15 vital sign work flow that is as standard, via the

16 home screen, selecting the room, and going in via

17 that way. The other way is through the Oxevision

18 observations module. So you are required to enter

19 the location of the patient and if that patient is

20 in their room you've got the ability then to be able

21 to take vital signs again, for that example that I

22 gave at nighttime for instance.

23 Q. Forgive me if I haven't understood, but are you

24 effectively using the vital signs function also to

25 conduct observations? So do you have access to the

1 15 seconds of clear view?

2 A. If you access the take vital signs work flow, you've

3 got access to the 15 second clear view. If you are

4 accessing it via the Oxevision observations, that's

5 giving you the assurance that somebody is breathing,

6 rather than having to go in -- this is an example by

7 the way -- rather than having to go in and disturb

8 that patient at night.

9 Q. But, sorry, what I don't understand at present is

10 when you are using Oxe-Obs as opposed to vital

11 signs, what is the member of staff actually able to

12 see if they are not conducting an in person check?

13 A. So if they access the take vitals via Oxevision

14 observations it's exactly the same as if you access

15 it via the room tile.

16 Q. Okay, so a remote observation is conducted as part

17 of the vital signs work flow?

18 A. You've got access to a 15 second clear video.

19 Q. Thank you. So a member of staff might be asking the

20 system to give up to 15 seconds of clear view,

21 either to take vital signs or to conduct

22 observations, or both?

23 A. Yes. Again, dependent on the organisation's

24 protocol for use.

25 Q. In terms of EPUT, would that be the case as far as

1 you are aware?

2 A. That would be a question for EPUT to answer.

3 Q. Thank you. Just moving on, or back to the hardware.

4 We have not seen what it looks like yet. So I am

5 going to ask that a slide is put up from a staff

6 information presentation. This is OXHE009041, at

7 page 4. This is from a training deck provided by

8 Oxehealth to EPUT for a meeting on 4 March 2020,

9 according to your statement. So page 4, please. It

10 should be OXHE009041, page 4. Here we go. Amanda,

11 could you first of all expand the left hand square

12 there the "Bedroom/seclusion room". Thank you. So

13 just explain what we see there, please?

14 A. So that, at the top left of that image is the

15 housing unit. So what you can see there is you've

16 got the two infrared illuminators which allows the

17 system to work during all, at varying light levels

18 within the room. Then you've got the camera as

19 well, which is behind that black piece of Perspex.

20 Q. And does the unit look substantially similar so that

21 now?

22 A. Currently.

23 Q. It's quite big, isn't it?

24 A. It is.

25 Q. It would be very clear to the patient in the room

1 that there was that unit right close to their bed?

2 A. Yes.

3 Q. We have heard evidence that there is a light that is

4 illuminated within the unit when it's plugged in.

5 Is that correct?

6 A. That's correct. If I could explain a little bit?

7 So the illuminators may display a subtle glow from

8 them and that happens even when the system is

9 switched off. So even when the camera is off the

10 housing unit is still powered and those illuminators

11 stay on. Now we use a visible part of the infrared

12 spectrum in relation to the illuminators but we are

13 looking at this for future development.

14 Q. And I will ask you a little bit more about that

15 later. So we can see the two illuminators on the

16 left-hand side of the unit in this photograph,

17 correct, as you have said?

18 A. Correct.

19 Q. So those would glow, is that what you are

20 describing?

21 A. There is a possibility that there may be a subtle

22 red glow, yes.

23 Q. We have also heard in the evidence that has been

24 provided to us that there is a light that is

25 displayed that shows that the unit is plugged in.

1 about what Oxevision is not designed to do, or can't
2 do. I think we have touched on some of this already
3 this morning. We have heard that it's installed
4 only in bedrooms, deliberately, and it shouldn't
5 film inside ensuite bathrooms and we will come back
6 to that. As you said, it's not able to identify a
7 patient. It's doing it by room, I think you said.
8 It doesn't pick up audio, is that deliberate?
9 A. It does not need to pick up audio.
10 Q. So is that for privacy reasons and just because it's
11 not necessary generally?
12 A. Both.
13 Q. It doesn't work if there's more than one person in
14 the room; is that correct?
15 A. It identifies if there's more than one person in the
16 room.
17 Q. But it doesn't do more than that?
18 A. Mm hmm.
19 Q. When you say "mm hmm", you are agreeing with me?
20 A. Sorry, yes.
21 Q. And it is unlikely to work if the patient is moving?
22 A. The vital signs element of it.
23 Q. The vital signs element?
24 A. Yes, there are other modules to it that would work
25 but the vital signs element of it.

1 Q. So the observations module might -- you might be
2 able to use it for observations purposes even if
3 someone is moving?

4 A. You could still record, yes, the mental health
5 observations and then you have got the activity
6 tracker as well.

7 Q. Thank you. The most recent EPUT Standard Operating
8 Procedure document says that:

9 "Oxehealth must be notified should the room
10 configuration be altered, including repositioning of
11 the bed space. A failure to notify Oxehealth of
12 configuration changes will have an adverse impact on
13 Oxevision performance and accuracy. Note, movement
14 of furniture, a distance as small as 50 cm, can
15 impact the system's accurate evaluation of a room
16 configuration."

17 What are your expectations in relation to the
18 requirement for providers to notify Oxehealth in
19 these circumstances and how do such changes affect
20 the technology's efficacy?

21 A. So we would communicate with all providers -- sorry,
22 excuse me.

23 Q. Do you want to take a sip of water?

24 A. Thank you -- around movement of furniture. However,
25 within the majority of mental health in-patient

1 units, furniture is fixed, from a risk point of
2 view. So if I provide you an example of an older
3 age adult ward, where there may be the need for a
4 hospital bed, so where the bed is movable. What we
5 say is that if the bed is moved within a certain
6 amount, that providers should notify us because that
7 may have an effect on, again, as an example, the
8 leaving bed or out of bed alert that may be
9 configured for that room.

10 Q. So if I could put it in short, and tell me if I have
11 got this wrong, there could be an issue if room
12 furniture isn't where the system expects it to be?

13 A. Yes.

14 Q. Thank you. We have seen that it takes vital signs
15 only within particular parameters, 50-130 pulse rate
16 a minute, and forgive me I have forgotten what the
17 other --

18 A. 8-39 breaths per minute.

19 Q. Say that again?

20 A. 8 to 39 breaths per minute.

21 Q. Thank you very much, per minute. If someone, if
22 their pulse or breath rate is outside those
23 parameters, the system is probably not going to be
24 able to pick it up; is that correct?

25 A. That's correct, the system does not measure outside

1 of those.

2 Q. But from a health perspective, isn't it just that

3 kind of reading outside those parameters that a

4 member of staff would want to be aware of?

5 A. Not necessarily. I think there may be other reasons

6 where, again, depending on what a patient's baseline

7 pulse or breathing rate, yeah, the staff may want to

8 be able to keep an eye for other reasons, say

9 physical health concerns.

10 Q. But in terms of worrying pulse or breath rates, they

11 will generally fall outside the range covered by the

12 vital signs technology?

13 A. Generally, but again it depends on --

14 Q. That person?

15 A. On the patient, yes.

16 Q. Thank you. We have heard that there are problems

17 using it, or there may be, when the patient is

18 completely covered. Is that because the system

19 won't be able to see the micro-blushes in the skin

20 or the rise and fall of the chest?

21 A. That's correct. So to measure pulse rate the system

22 needs to be able to see skin.

23 Q. And clearly for observations purposes, it won't be

24 ideal if the person is completely covered?

25 A. That's correct.

1 Q. It's been suggested that the system may not be able
2 to provide an accurate or possibly any reading if a
3 person has scarring or tattoos; is that correct?

4 A. That's what's documented within our instructions for
5 use as a caution/warning.

6 Q. You say in your first statement, this is paragraph
7 17:

8 "The Oxehealth Vital Signs device is indicated
9 for use on humans 12 years of age or older with all
10 skin types."

11 Just reminding ourselves that in terms of one
12 aspect of the vital signs it is looking for
13 micro-blushes in the skin. Is it correct that the
14 system still works for all skin types?

15 A. That's correct.

16 Q. Has Oxevision actually been tested on all skin
17 types?

18 A. I believe it has, yes, using --

19 THE CHAIR: Can I -- forgive me, finish what you were
20 going to say.

21 A. Using what I believe is the Fitzpatrick scale.

22 THE CHAIR: Going back to the need to have exposed skin,
23 you say if somebody is covered up, but can it take a
24 reading from their face?

25 A. If that skin is exposed, yes.

1 THE CHAIR: Thank you.

2 MR GRIFFIN: Might the accuracy of the system also be

3 affected by people with tremors, alcohol withdrawal

4 or motion disorders?

5 A. Again, that is listen within our instructions for

6 use under caution/warnings.

7 Q. Would you accept that the system has quite a few

8 limitations, whether by design or because of the

9 current stage of the technology?

10 A. There are some limitations with the system, yes.

11 Q. We have referred to the fact that Vital Signs is a

12 regulated medical device. Given the limitations we

13 have just discussed, to what extent would you say it

14 reliably confirms whether a patient is physically

15 well or not?

16 A. I think that there's a lot of other things from a

17 context point of view that would have to be

18 considered from that point of view, but it gives you

19 two measurements of vital signs that can be used to

20 help gauge physical health, not completely, but it

21 gives you two pieces of that.

22 Q. So it would need to be part of a bigger picture?

23 A. Yes.

24 Q. Thank you. We saw at the beginning that Oxevision

25 is rebranding to LIO, and also that a new platform

1 is being introduced next year; correct?

2 A. That's correct, yes, a new generation of the
3 platform.

4 Q. This is what you said, this is paragraph 100 of your
5 second statement, you have seen it but I will just
6 remind you:

7 "Building on the foundations of Oxevision, a
8 new platform will be introduced in 2026 which will
9 bring together ambient patient monitoring, digital
10 observations and management insights in one purpose
11 built solution."

12 What is new about the LIO platform compared to
13 Oxevision?

14 A. So if I break this down into four sections, so
15 looking at -- and I think we briefly touched upon it
16 earlier, so configurable modes per patient rather
17 than per ward. So looking at those configurable
18 modes, and providing that flexibility. Enhanced
19 access and user controls to ensure appropriate
20 usage, so user authentication, so providers have got
21 the ability to be able to lock any part of the
22 system behind user authentication. So again, an
23 example would be if they want to monitor who is
24 resetting alerts or who is accessing the take vital
25 sign work flow, they have got the ability to put

1 that behind user authentication. Enhanced digital
2 observations, so the Oxevision observations and
3 enhancing how that work flow works and looking at
4 more enhanced compliance reporting alongside the
5 digital observations. And then looking at a new
6 ambient monitoring unit. So looking at the housing
7 unit and looking at changing that. So for ease of
8 installation and designed to be smaller and more
9 reassuring for patients.

10 Q. You said, I think the second of your four
11 descriptions of how it is different, was enhanced
12 access with controls to monitor appropriate usage.
13 Is that in recognition of previous issues with
14 inappropriate use of the system?

15 A. No. So it was -- that facility has been there since
16 early 2025, yeah.

17 Q. You said if someone is resetting alerts, so
18 presumably, added functionality to be able to
19 monitor that is because that has previously been an
20 issue?

21 A. That was an example of being able to -- so at the
22 moment to use any part of the system apart from
23 Oxevision observations, it doesn't require a staff
24 to log in. However, with user authentication,
25 providers will have the choice to be able to have

1 any part of the system behind user authentication if
2 they so wish to.

3 Q. Thank you. But does that mean, for example, on the
4 tablets that someone doesn't need to log in before
5 they are able to access the functionality of
6 Oxevision?

7 A. The functionality apart from Oxevision observations.
8 So those digitised mental health observations
9 require staff to log in from an accountability point
10 of view.

11 Q. But someone would be able to have a tablet and
12 access vital signs, would they, without logging in?

13 A. Yes.

14 Q. So they would access to a clear view of the patient
15 for up to 15 seconds?

16 A. Yes, there are various other safeguards that are in
17 place and again that's split into two sections. So
18 what the system offers from a safeguard and that is
19 you've got the ability to switch a room off should
20 that not be -- should it not be appropriate to use
21 the system for certain patients.

22 Q. Thank you. I am going to come on to ask you about
23 safeguards specifically. Thank you though for
24 explaining the difference of the new platform. One
25 of the concerns that has been raised is that

1 Oxehealth uses language that is deliberately
2 obscure. Would you accept that it would be
3 difficult for most people to understand what is
4 meant by "ambient patient monitoring", for example?

5 A. So that language is on our website. Our website is
6 not designed to act as information directly for
7 patients and their carers. So there are nationally
8 co-produced leaflets and posters that have been
9 designed with the National Mental Health and
10 Learning Disability Nurse Directors' Forum across
11 England and Wales, which looks at things like
12 accessibility, language.

13 Q. Thank you. Just generally in relation to the new
14 platform, does the fact that it is being introduced
15 reflect any concerns with the operation of the
16 current Oxevision platform?

17 A. No. This was something that had been on the cards
18 for some time.

19 Q. So again, it's not in response to concerns that have
20 been raised in the press and elsewhere, including
21 this Inquiry, about the way in which Oxevision
22 currently operates?

23 A. We are constantly looking at how to develop the
24 platform and that's in conjunction with providers
25 and a large group of experts by experience that we

1 work with.

2 Q. Thank you and we may come on to experts by
3 experience. What I would like to turn to now,
4 please, is to look at the advantages of Oxevision,
5 the system, as Oxehealth perceives them. You deal
6 with this from paragraphs 41-42 of your first
7 statement but I am going to ask that that is put up
8 on our screen, please. That's OXHE009031. This is
9 dealing with research and research we may come back
10 to later, but I just wanted to read this out because
11 I think it summarises advantages as you see them:

12 "There is an extensive evidence base
13 demonstrating the clinical and operational value of
14 Oxehealth's contactless patient monitoring system in
15 in-patient mental health settings. The evaluations
16 consistently show that the technology supports staff
17 to deliver improvements in safety, quality and
18 efficiency on mental health wards. Most of this
19 research is based on provider-led service
20 evaluations, a number of which have culminated in
21 peer-reviewed journal publications.

22 Key findings include: reductions in rates of
23 patient safety events (self-harm, falls, assaults
24 and restraints); enhanced physical health
25 monitoring; time and cost savings; and improvements

1 in both patient and staff experience. Notably,
2 recent interim findings from independent research on
3 patient experience showed that the vast majority of
4 patients with direct experience of the Oxehealth
5 system feel as safe or safer when the technology is
6 in use."

7 We may return to the research aspect later on
8 but looking at these points, you refer to reductions
9 in rates of patient safety events, I will come back
10 to that in a moment. "Enhanced physical health
11 monitoring", we can see in paragraph 42. Is that a
12 reference to the vital signs technology and the
13 trends that we have just been talking about?

14 A. That's correct.

15 Q. Is the intention that Oxevision provides access to
16 accurate and up-to-date clinical information?

17 A. That's correct.

18 Q. You say that the monitoring is enhanced. In what
19 way is it enhanced?

20 A. So enhanced physical healthcare monitoring, from the
21 point of view of being able to access that pulse and
22 respiration rate should that be needed, and the
23 vital signs trend chart. So if you had a unit that
24 didn't have Oxevision in, as a clinician, you are
25 not going to know what a patient's trend is from a

1 pulse and a breathing rate point of view.

2 Q. So the enhanced element is really the trend data
3 that the system provides, is it?

4 A. And the ability to be able to do that contact-free,
5 pulse and respiration rate.

6 Q. You also refer here to time and cost savings, what
7 do you mean by that?

8 A. From a point of view, and I think this is a really
9 important point, so financial benefit from the point
10 of view of this is not about reducing safe staffing.
11 So mental health units and providers have what they
12 call a safe staffing number per ward. So the
13 minimum amount of staff that you need per ward per
14 shift. So by introducing our technology, it is not
15 about reducing the safe staffing number, and each
16 unit will have a substantive staff establishment so
17 how many staff they should have per ward. So it's
18 not about reducing that either. But if I give you
19 an example, again an older adult setting. So if
20 staff are using the platform and are alerted to a
21 potential fall in which they can intervene with
22 earlier, then the financial and time benefit is
23 around the possibility of not having to have extra
24 staff if that patient needs to go and visit a
25 general hospital and then having to back fill staff

1 on the ward with extra staff. So it's about having
2 access to that up-to-date information and how that
3 can help with the planning of care.

4 Q. Does part of Oxehealth's marketing to trusts
5 emphasise the economic efficiencies that come with
6 using the system?

7 A. Again, we do talk about time saving from a nurse's
8 point of view of being able to provide them with
9 that up to date information to prevent incidents.
10 So again, time if an incident is prevented, you
11 haven't got a member of staff having to complete
12 incident forms and the various paperwork then that
13 follows.

14 Q. Thank you, you talk about improvements in both
15 patient and staff experience. Can you explain what
16 you meant by that?

17 A. So from a patient point of view, again, I spoke
18 about it earlier, about that the general
19 observations at night and being able to use the
20 platform to be able to allow people to sleep and
21 rest and recover without waking them up. So less
22 intrusive and the positive impact that this has if
23 someone has had a good sleep in relation to their
24 recovery or their engagement within therapy the next
25 morning, again patient safety incidents. If you can

1 prevent incidents from happening, that only has a
2 positive experience for both staff and patients.

3 THE CHAIR: Can I ask you about time, time saved. Have
4 you done studies, audits, on how much time is saved?
5 You talked, for instance, about preventing
6 incidents. I can see how you might look at that,
7 but have you actually been able to establish that
8 time is saved.

9 A. We have got some papers in relation to time, yes.
10 And that frees up time, then, for staff to have that
11 direct patient contact if they are not having to
12 complete paperwork.

13 THE CHAIR: Thank you.

14 MR GRIFFIN: Thank you. Can we come back to consider the
15 first of the key findings, that you include,
16 reductions in rates of patient safety events. You
17 have touched upon that a little bit already but you
18 referred specifically to self-harm, falls, assaults
19 and restraints. Can you explain a little bit more
20 what you mean by that?

21 A. Yes. So again, if I provide examples, so last week
22 I received an e-mail from one of the providers that
23 we work with to say that Oxevision had alerted or
24 warned staff to three ligature attempts within a
25 doorway, which may have otherwise have been missed

1 and that was only over a two-week period. Again,
2 Oxevision played a critical role in a ligature event
3 which resulted in an individual not coming to
4 significant harm. And I believe that there are some
5 stats and percentages within my second statement.
6 Can I refer to those?

7 Q. We will come back to the research and evaluation
8 separately if that is all right. If there is
9 something particular you would like to refer to now,
10 by all means?

11 A. Again, a comment from a Chair from an organisation
12 that in their own trust they are well aware of the
13 significant number of falls that have been prevented
14 on the dementia units. And again, organisation A in
15 26 months there were 1,774 incidents where Oxevision
16 supported staff to respond to a situation where a
17 service user, users, could have otherwise come to
18 some serious harm. And there are others in there as
19 well.

20 Q. Thank you, in fact, that specific type of category
21 of data is something I may raise tomorrow with
22 Mr Trent and the basis for it. May I say this,
23 Chair. That the Inquiry's expert health
24 statistician team will be considering some of the
25 research evaluations and feedback to which reference

1 is made in Ms Cozens' statements and also Mr Trent's
2 statements and the exhibits that have been provided
3 that are relevant to that. A report will be
4 produced and provided to Core Participants. After
5 that has happened, the Inquiry will review the
6 position and we may ask that Oxehealth provide
7 further information. In the meantime, I may have
8 some questions and we will come on to that if we may
9 But thank you for that. Could you take down, please
10 the two paragraphs from the screen. What I would like
11 to move on now to is to ask you about provision of
12 video and other data following an incident. Would
13 another aspect of reducing the rates of patient
14 safety events be that the Oxevision system can
15 provide video and other data following an incident?

16 A. That's correct. I think it is important to add that
17 the provision of video, again, is a decision for a
18 provider. So they don't have to have that.

19 Q. We will come on to that if we may. How does the
20 provision of incident data assist when there has
21 been a patient safety event? You talk about this
22 from paragraph 70 in your second statement.

23 A. So the provision of data enables providers if they
24 have got -- if they have made a decision to have
25 that 24-hour clear video data buffer, they have got

1 the ability to have access to that. Again it's
2 under very strict governance.

3 Q. We will come on to that in a moment, but there is
4 access to video data and we can come on to exactly
5 what is available shortly. Is there also access to
6 other incident data such as reports?

7 A. So all of the reports that the Oxevision system
8 provides, so the activity report the observation
9 report the vital sign trend report and the sleep
10 report can all be exported, so providers will have
11 access to that. There is also data that we are able
12 to provide in relation to anonymised system data.
13 So what I mean by that is able to provide a snapshot
14 of what the system was doing for a set period of
15 time.

16 Q. For example, members of staff interacting with it?

17 A. So yes, any interactions either with the fixed
18 monitor or the tablet device. Any alerts that may
19 have been triggered, when those alerts were reset
20 and what device reset those alerts. Whether the
21 vital sign work flow was accessed and room state
22 information.

23 Q. And when you say room state information, do you mean
24 whether a room is occupied or not?

25 A. Whether a room is occupied or not, but also -- so if

1 someone had been in the room and then in the
2 bathroom and then left the room, it will provide
3 that list of those states.

4 Q. Thank you very much. Just dealing with the video
5 data that is available, we have heard that the
6 system allows access to clear view for the purposes
7 of vital signs and observations and blurred view in
8 response to a warning?

9 A. Alert.

10 Q. Or an alert, thank you. Does clear video data
11 remain available after there has been an incident?

12 A. So there's a clear video data buffer. Now, this is
13 only for 24 hours and it auto deletes. Again, this
14 is a choice for providers, they don't have to have
15 this. But if they do choose it, then they have the
16 ability to request if there has been a serious
17 incident, the ability to be able to save parts of
18 that video data should they want that. Again, like
19 I say, they have got to have requested that within
20 the 24-hour time period because it does auto delete.

21 Q. Thank you, we will come on to talk about that
22 feature shortly. Where is the clear video data
23 stored? I have read in your statements that
24 encrypted clear video data is stored on EPUT
25 servers; is that correct?

1 A. That's correct.

2 Q. If the trust or provider is EPUT?

3 A. Yes, it is stored at the provider's site.

4 Q. Is Oxehealth able to assist to provide clear video
5 data to a trust an after an incident, as you have
6 just discussed I think?

7 A. Yes, if that I have the CVD buffer, so the clear
8 video data buffer and that they request it within
9 the time frame.

10 Q. Thank you. So we will come back, as I say, to that.
11 Has Oxehealth, in fact, provided a number of clear
12 video data clips to trusts, such as EPUT, at their
13 request?

14 A. That is correct.

15 Q. Does Oxehealth also provide blurred video data to a
16 trust after an incident, if requested?

17 A. Yes, so if there has been a serious incident and
18 that buffer, 24-hour buffer period, has been missed,
19 then there is the opportunity to be able to provide
20 blurred video data. I think it's important to note
21 that the provider organisation is the data
22 controller, so therefore it's their data.

23 Q. Thank you, we will come back to all of that. Just
24 at the moment looking at the kinds of information
25 that Oxehealth is able to provide following an

1 incident. Is Oxehealth also able to provide system
2 data logs after an incident?

3 A. That's correct.

4 Q. What are they?

5 A. So that is the room states, the device usage, the
6 user interaction with the system as I explained
7 earlier.

8 Q. As you explained before, thank you very much. You
9 refer in your first statement also to provision of
10 data reports following an incident. This is at
11 paragraph 136, and you say that, or we have heard
12 that 19 were sent to EPUT between 2021 and 2023.
13 What I would like to do is look at part of a data
14 report with you, please. Could you put up
15 OXHE009035 at page 1, please. So this is, you refer
16 to it in your statement as a data report I think.
17 We can see here that it calls itself "Oxehealth
18 anonymised data review". So that's the same thing,
19 is it?

20 A. Yes.

21 Q. So what we see here is for EPUT for 3 August 2024,
22 and this is for a particular ward although that has
23 been redacted out, and can we see under
24 "Introduction":
25 "On the 3rd September 2024, Oxehealth received

1 a request from" -- a particular person -- "to
2 provide the data logs for" -- a particular room, in
3 a particular ward.

4 And can we then see a timeframe on a particular
5 date, so between 6 and 7.30 pm on 3rd August last
6 year. These notes have been made by a member of
7 Oxehealth staff who is not medically trained, and is
8 a representation of anonymised system data with the
9 intention to provide information on activity within
10 the room. So is all of this an aspect of what you
11 have just been describing to us?

12 A. That's correct.

13 Q. Can we look to table 1, the upper table, please,
14 first. We can see there are, in fact, two different
15 tables under table 1, but the upper table. Does it
16 show under time stamp, a date and time? Is that
17 correct?

18 A. Yes.

19 Q. Then does it show the nature of the alert or the
20 location of the alert?

21 A. It is the nature of the alert.

22 Q. So we can see here on the first line the "In
23 bathroom".

24 A. That's correct.

25 Q. So we may talk about this later, but is there a

1 feature whereby if someone is in a bathroom for more
2 than 3 minutes, an alert is triggered on the system.

3 A. Again it is configurable, that time period, for what
4 the provider wants.

5 Q. We will hear that it is three minutes in EPUT. So is
6 three minutes a pretty standard time for that
7 particular alert?

8 A. It varies, so what we see is when providers are
9 looking at what alerts to consider for the system,
10 quite often they will do a review of their own
11 incident date in order to inform --

12 Q. So it will depend upon the particular provider?

13 A. Yes.

14 Q. And then we can see a status and we can see in each
15 case "Resolved" and then a time in seconds. Can you
16 tell me first what does "Resolved" mean?

17 A. That that alert has been reset.

18 Q. So by the member of staff?

19 A. Yes.

20 Q. Does it mean that a member of staff has actually
21 conducted an in-person check of a patient or does it
22 mean they have simply reset the alert?

23 A. It simply means they have reset the alert. This is
24 the system data rather than --

25 Q. So "Resolved" doesn't mean that an in-person check

1 has been conducted just that the alarm has been
2 switched off?
3 A. That's correct.
4 Q. Thank you very much. And the time in seconds, is
5 that the time between the alert first sounding and
6 it being switched off?
7 A. That's correct, reset, yes.
8 Q. Or reset, that's the best word, thank you. The
9 lower table, please. We can see a time stamp, an
10 event and a device. Can you just explain what's
11 happening there, please?
12 A. So this is in relation to the alerts that are in the
13 above table. So this tells you that what alert,
14 that it was reset and by what device and again it's
15 date and time stamped.
16 Q. So display 1 --
17 A. Would be the fixed monitor within the nurse's
18 office, and then each of the tablets then have got
19 their own number.
20 Q. Thank you. Can you take that down, please. You
21 deal in your statement with usage reports. Do these
22 provide details of the use of Oxevision at a trust?
23 A. Yes. So we provide usage reports to providers.
24 This is to enable providers -- I suppose they form
25 part of providers' governance and audit and use of

1 the system. So it provides them with, again an
2 example, of how many times the vital sign work flow
3 has been accessed and that is split between day and
4 night.

5 Q. We'll have a look at one in a moment. We know, and
6 perhaps you could confirm that Oxehealth has sent
7 usage reports to EPUT at regular intervals?

8 A. That's correct.

9 Q. Could you put up, please, the usage report for July
10 2024. That's EPUT009021 on page 1. Can we see here
11 a monthly usage report from Oxehealth sent to EPUT,
12 is that correct?

13 A. That's correct.

14 Q. And could you go to the top of the second page,
15 please, and expand up to -- that's perfect, thank
16 you. So can we see here what the usage report
17 covers. Individual ward usage summary, a page for
18 each ward; the number of vital sign attempts each
19 day over the last month, split between day and night
20 -- that is what you just referred to, is it?

21 A. That's correct.

22 Q. -- with trend lines; speed of alert resets each day
23 over the last month; the usage of each device that
24 has been used over the last month; list of all
25 devices assigned to the ward, if they are being used

1 or not, and when they were last used, correct?

2 A. Correct.

3 Q. Could you go, please, to page 30 of this document

4 and enlarge the top. Could you just enlarge

5 "Basildon MHU" at the top, please, up to the bottom

6 of that Thank you. Can we see here the ward names

7 down the left-hand side here at Basildon. Vital sign

8 attempts we can see in the next column; correct?

9 A. Correct.

10 Q. Vitals displayed in the next column and activity

11 report views in the final column?

12 A. Correct.

13 Q. Vital signs attempts, does that mean the number of

14 times a staff member has used the system to access

15 up to 15 seconds of clear video prior to making a

16 vital signs check.

17 A. Correct, it's when they have accessed that work

18 flow. So when they've selected that work flow

19 Q. And "Vitals Displayed" does that mean the number of

20 successful attempts to take vital signs?

21 A. That's when one or, so either pulse and/or breathing

22 rate have been displayed to the user.

23 Q. Thank you. What are activity report views?

24 A. So the activity report is, again, a report that the

25 system provides and it provides this over a 24-hour

1 period, over a seven day, and we quite often see
2 these used in practice to form part of handovers,
3 care planning with patients. So what this indicates
4 is how many times the activity reports have been
5 viewed for that ward.

6 Q. Thank you very much. If we compare the "Vital Signs
7 Attempts" column, and the figures there, with the
8 "Vitals Displayed" columns, we see a discrepancy in
9 the figures provided, don't we?

10 A. Yes, that is correct, they are different.

11 Q. The number of attempts is much higher in each case.
12 For example, we can see on Grangewater ward there
13 were 17,550 attempts, but only 7,884 times that
14 vitals were displayed.

15 A. That's correct.

16 Q. Does it demonstrate this it regularly takes many
17 attempts before vital signs are successfully taken?

18 A. No, I don't think it does. I think it's difficult
19 to try and work out why that is without context of
20 that ward and the patient population within that
21 ward. So again, an example may be that patient --
22 there may have been patients that were on more
23 routine physical healthcare monitoring than others.
24 It's difficult to know without the context.

25 Q. Could we look at, could you show the full page,
please,

1 Amanda. Let's just have a look and we will scroll
2 down in second. Generally speaking, that trend
3 seems to continue in Brockfield House. Could you
4 show Rochford Hospital and down please. The trend
5 appears to continue there, it appears to continue at
6 the St Aubyn Centre and indeed at all of the units
7 that are listed there. So do you maintain that it's
8 ward-specific or is this an issue, do you think,
9 across different wards?

10 A. I think that's probably a question for EPUT around
11 how they use that. This, I think, is the whole
12 reason about why we provide these usage reports, so
13 it gives providers information about how the system
14 is being used, so they can use that as part of
15 governance and audit against their standard
16 operating procedure, to ensure that there is
17 consistent and appropriate use.

18 Q. So this situation here, where we have many more
19 attempts than successful vital signs checks, are you
20 saying this these figures here are EPUT specific, or
21 is it likely that if we are were to look at
22 equivalent statistics from other trust or providers,
23 that we would see the same trend?

24 A. So the system will only output if it's completely
25 confident. If it's not confident within a reading,

1 it won't output a reading at all.

2 Q. My question was whether we would see the same trend

3 at other providers?

4 A. I would have to look at that.

5 Q. To what extent does Oxehealth record and address

6 instances of improper or unsafe use of Oxevision of

7 which it becomes aware?

8 A. I don't think it's for Oxevision or Oxehealth,

9 sorry, to determine what is inappropriate or unsafe.

10 We are a technology provider. We don't have context

11 of wards or the patients within those wards. That

12 is a question for the providers and ensuring that

13 they are working alongside what their Standard

14 Operating Procedure would say is appropriate and

15 safe use.

16 Q. You are a registered mental health nurse, are you

17 really saying that Oxehealth can divorce itself from

18 that kind of consideration?

19 A. I suppose what I'm saying is if you consider other

20 types of technology that are used within mental

21 health wards, so again, a blood pressure machine.

22 You don't have the manufacturer of the blood

23 pressure machine auditing wards about the

24 appropriate use of it.

25 Q. But this is technology that's used in mental health

1 in-patient units in connection with people who are
2 or may be incredibly vulnerable?

3 A. I understand that. I do understand that.

4 Q. Your second statement says that the right to
5 autonomy and respect for privacy is something which
6 is central to considerations of treatment of care of
7 all patients in hospital. That's paragraph 45 for
8 your reference, and you go on to talk about the
9 importance of balancing privacy and security.

10 A. Safety.

11 Q. Could you put up paragraph 46 please, Amanda, of the
12 second statement. This is what you say:

13 "Oxevision is designed to be used in a way
14 which enables autonomy and respect for privacy
15 alongside the need to keep patients as safe as is
16 feasible. The following features are deployed as
17 standard:

18 a) The ability to switch off Oxevision for
19 individual rooms" -- you have told us about that,
20 haven't you -- "(b) The ability to pause Oxevision
21 for individual rooms" -- and I think we saw that in
22 connection to one of the screenshots that we were
23 looking at?

24 A. I don't remember, sorry.

25 Q. Or you told us about it anyway?

1 A. Yes, I think I said and give the example of personal
2 care within older adults?

3 Q. Thank you:

4 "(c) A homescreen that displays rooms as
5 'tiles'" -- which we have seen -- "with video only
6 available in two specific circumstances, i.e. when
7 taking vital signs spot-check measurements (clear
8 images) and when an alert has been triggered by the
9 system (blurred images).

10 (d) Privacy masks to blur areas of the video
11 feed, particularly when bathroom doorways are
12 visible, applied by default."

13 So just dealing with that last point, privacy
14 masks, in relation to ensuite bathrooms and other
15 areas, what is a privacy mask?

16 A. So the easiest way to describe this is basically a
17 box, a black box over the bathroom doorway, if the
18 bathroom doesn't have a door on it, which we do see
19 in some mental health units for safety reasons. So
20 when staff would be accessing the take vital signs
21 work flow, if the bathroom door or the bathroom
22 doorway was visible and there was no door or
23 curtain, there would be a black box over three
24 quarters of that doorway.

25 Q. The bottom three quarters or the top three quarters?

1 A. I believe it's the --

2 Q. Or the middle?

3 A. I believe it's the top three quarters but I would

4 have to check, sorry.

5 Q. So when a member of staff was accessing a vital

6 signs clear view, they would not be able to see that

7 portion of the bathroom entrance?

8 A. No, that's correct.

9 Q. Would that apply even if a bathroom door was in

10 place?

11 A. I believe that we have put it over all bathroom,

12 it's over all bathroom doorways, but I can double

13 check that.

14 Q. Thank you, could you take that down, please. Now

15 safeguards which is something you were mentioning

16 before and I said we would come back to. You say at

17 paragraph 50 of your second statement that there are

18 safeguards about monitoring the use of Oxevision and

19 can you -- so this is paragraph 50 -- can you

20 identify what those are and how they work, please?

21 A. Yes. So I think for ease of understanding, I think

22 there's -- I will split this into two sections. So

23 there are safeguards in place directly from the

24 system, and I think we have spoken about a few of

25 those. So the ability to switch a room off, to

1 pause a room, the design of the home screen, the
2 privacy masks, the user authentication, which also I
3 spoke about, the option not to have that clear video
4 buffer. We also have what we call a vital sign
5 attempt notification. So if, and again this is an
6 example, if an organisation had written in their
7 standard operating procedure that during nighttime
8 checks staff were able to use the take vital signs
9 work flow in order to assure themselves that
10 somebody was safe rather than disturbing them, but
11 they only wanted them to be able to use that twice
12 in a period of five minutes, we could configure this
13 that a notification, if people attempted to access
14 it more than that a notification would be sent to
15 every Oxevision device on that ward, so the tablets
16 and the fixed monitor. And we can also configure
17 that an e-mail could be sent to a nominated
18 recipient as well. So they are the safeguards that
19 are in place directly from the system, but I think
20 there are safeguards also from outside of the system
21 in relation to governance and audit. I think we
22 have touched upon some of these; so the Nurse
23 Directors Forum guidance that was published in 2022,
24 that's got some clear guidance and recommendations
25 within it. The SOP guidance document also, that's

1 available from the Nurse Directors website. The
2 ward audit tool/template. So again an audit tool
3 that providers can use. This is split into four
4 sections, so there's a section on consent, patient
5 feedback, staff feedback.

6 Q. We will be looking at examples of those, or an
7 example of that, with Mr Trent tomorrow. So we will
8 certainly be looking at that in more detail. But
9 the two categories you have been talking about are
10 those that are built in to the system and those that
11 are external to the system; is that correct?

12 A. That's correct.

13 Q. Thank you. Were there any other safeguards that you
14 wanted to mention before I turn to a new topic?

15 A. No. I suppose I just want to mention that,
16 recognise that the platform may not be suitable for
17 everybody and we do recognise that. I think an
18 example would be if you had five people that were
19 suffering with severe depression, you wouldn't
20 necessarily treat all of those five people with the
21 same medication. However, there are patients that
22 do benefit from the use of this system and I think
23 that also needs to be recognised as well.

24 Q. What that would suggest, though, is that clinicians
25 would have to conduct a case by case assessment of

1 whether the technology should be deployed; correct?

2 A. But I think that's what clinicians do in general.

3 You're assessing everybody as individuals --

4 Q. Well that's not actually what was happening at EPUT

5 as we will come on to hear tomorrow. The system was

6 on by default. But your evidence to us today, so we

7 are absolutely clear, is that this is generally a

8 tool that can assist but that you need to analyse in

9 the case of each patient whether it will?

10 A. It's about that assessment and that conversation

11 with the patient and ensuring the patient knows

12 exactly what the system does, what it doesn't do,

13 how it would be used as part of their care and not

14 just having that conversation once either. That's

15 an ongoing conversation.

16 Q. Thank you very much. Can we move on, then, to talk

17 about some concerns that have been raised about the

18 operation of Oxevision. You mentioned before that

19 Oxevision is meant to operate along with normal

20 staffing levels. I may be summarising it or

21 overgeneralising but is that in essence correct?

22 A. Yes.

23 Q. One of the concerns that has been raised, has been

24 raised in this way by Stop Oxevision, the campaign

25 group which we heard this morning seeks to highlight

1 the use of Oxevision and which is calling for a halt
2 to its rollout pending an independent review. Could
3 you put up, please, this is part of Hat Porter's
4 first statement at paragraph 3.26. That's
5 STOX009054, at page 13. Can we see here that SO,
6 that's Stop Oxevision, is concerned that Oxevision
7 and other VBMS, and we established before that
8 that's Vision Based Monitoring Systems; correct?

9 A. Sorry, yes, that's correct.

10 Q. Do you have water in your glass, would you like to
11 pour some?

12 A. Thank you.

13 Q. I will start again:

14 "SO (Stop Oxevision) is concerned that
15 Oxevision and other VBMS are being used as a
16 superficial quick fix for wider systemic issues in
17 mental health care, including inadequate levels of
18 staffing and high levels of poor practice on mental
19 health wards. In that context, the introduction of
20 such systems risks widening pre-existing and
21 underlying cracks in the system, which continue to
22 go unaddressed."

23 Now as a registered mental health nurse
24 yourself, is that a concern you understand?

25 A. I can understand, yes, but I don't think from my

1 point of view this is an assistive tool for staff,
2 it is not about replacing staff and I think I spoke
3 about that earlier. I think it's -- mental health
4 care over the years hasn't, in my opinion,
5 necessarily had the same level of innovation as
6 physical health monitoring, physical healthcare. So
7 you go into a general hospital and there's
8 technology everywhere which helps support those
9 clinicians and like I said earlier, within mental
10 health care you still have staff walking round with
11 a pen and a piece of paper documenting observations.
12 So yes, I think there needs to be that equalness
13 between mental health care and physical.

14 Q. Thank you. The technology that Oxevision affords,
15 particularly in relation to vital signs, would make
16 sense in a physical health context, wouldn't it?

17 A. That's correct.

18 Q. But as far as I'm aware it's not deployed there?

19 A. Not currently, no.

20 Q. Wouldn't it actually make more sense in a physical
21 health context than a mental health context?

22 A. Not necessarily. I think, again, my own experience
23 when you look back at mental health nursing, there
24 was always -- and I think this has been recognised
25 as well over the years, that physical healthcare

1 didn't tend to get the attention that it should do
2 within mental health services. So people don't just
3 have -- yeah, so people with mental health concerns
4 also have physical healthcare concerns as well. So,
5 therefore, as mental health nurses, you need to be
6 able to look after those physical healthcare
7 concerns too.

8 Q. Do you think the reason it hasn't been rolled out in
9 the physical healthcare sector is because people
10 would consider it too intrusive, there would be
11 privacy concerns?

12 A. No.

13 Q. Just dealing with the quick fix point and staffing,
14 does Oxehealth recognise that mental health trusts
15 frequently face financial strains and staffing
16 shortages?

17 A. Yes.

18 Q. Do you accept that in circumstances like that, the
19 risk of your systems used to make observations
20 remotely and therefore save staff time and costs, is
21 a very real possibility?

22 A. So again it's about why organisations purchase the
23 system and it's around the implementation of the
24 system and the engagement with staff about how the
25 system should be used, why it should be used, when

1 it should be used, and having that robust standard
2 operating procedure in place, but also those
3 governance and audit processes to ensure that that
4 doesn't happen.

5 Q. Do you see the last sentence here from Hat Porter,
6 if we are dealing with a mental health inpatient
7 unit in circumstances of staff shortages, do you
8 agree that in that kind of context the introduction
9 of such systems as Oxevision risks widening
10 preexisting and underlying cracks in the system
11 which then continue to go unaddressed?

12 A. Possibly, but I also think the benefits of the
13 system as well in relation to patient safety need to
14 be considered.

15 Q. Thank you very much. Would you agree with this --
16 that can be taken down, thank you very much. Would
17 you agree with this: that the safe and successful
18 operation of Oxevision requires that other systems,
19 for example, safe staffing and comprehensive
20 training are in place and operating successfully?

21 A. Sorry, could you repeat that?

22 Q. Yes, of course. I asked you whether you agreed with
23 this statement: that the safe and successful
24 operation of Oxevision requires that other systems,
25 for example safe staffing and comprehensive

1 training, are in place and operating successfully?

2 A. Yes.

3 Q. So if Oxevision is deployed somewhere where we don't

4 have safe staffing or comprehensive training, it may

5 not operate in the way Oxehealth intends?

6 A. Correct.

7 THE CHAIR: Can I ask another question? Do you accept

8 that, it's a very basic question, but if there is

9 remote observation going on, that staff may miss the

10 chance for important therapeutic observation and

11 engagement?

12 A. So that's a really interesting point and I think, I

13 was having a conversation around the purpose of what

14 these mental health observations are with a senior

15 clinician last week. And they described the

16 distinction that they made between therapeutic

17 engagement with patients and routine general

18 observations and splitting that. So there is a

19 necessity, and they emphasised that routine periodic

20 observations should never be interrupted from a

21 safety point of view, and posed a question around

22 how interactions with patients can be truly

23 meaningful and therapeutic if staff are rushing to

24 the next person, in order to meet and stay on

25 schedule for those timed observations. However,

1 what they said was that by using the platform that
2 staff can effectively complete those safety
3 observations while freeing up time for others for
4 those therapeutic interventions to take place.

5 CHAIR: Do you accept though that a therapeutic
6 intervention can also be a safety intervention?

7 A. It could be, it could be.

8 MR GRIFFIN: Can we pick up on aspects of what you have
9 just explained because obviously another major
10 concern raised the use of vision based patient
11 monitoring systems, including Oxehealth, is that they
12 actually undermine therapeutic engagement by staff
13 with a patient. To illustrate this point I would
14 like to go in a moment to a recent investigation
15 report which you have provided by the Health
16 Services Safety Investigations Body or HSSIB. It's
17 called "Mental health in-patient settings:
18 overarching report of investigations directed by the
19 Secretary of State for Health and Social Care", and
20 it is from May this year. Before we go to it, is it
21 right that HSSIB investigates patient safety
22 concerns across the NHS in England, and in
23 independent healthcare settings where safety
24 learning could also help to improve NHS care; is
25 that correct?

1 A. That's correct.

2 Q. Could we please put up OXHE009978 at page 36, and
3 could you highlight paragraph 2.6.18. That's
4 perfect, thank you. So this is part of that report.
5 Just reading one part of it first:

6 "The investigations heard variable views on the
7 benefits and value of these technologies in mental
8 health inpatient settings. Some staff felt they
9 provided a 'safeguard' because of the challenges
10 they faced when trying to observe all patients on a
11 ward, particularly when short staffed."

12 Now that seems to support the point I was
13 putting to you before, where Oxevision is used to
14 prop up staff at a ward that's understaffed, would
15 you agree?

16 A. Yes.

17 Q. Just moving on:

18 "However, others were concerned that the use of
19 the technologies may discourage some staff from
20 actively engaging with patients, which is essential
21 for therapeutic care."

22 I think that is the point that the Chair was
23 just raising with you. Hat Porter has suggested
24 that the use of vision based monitoring systems,
25 such as Oxevision, on wards to allow the conduct of

1 remote observations and checks on patients at best
2 reduces and at worst removes the opportunity for
3 therapeutic engagement between staff and patients.
4 Looking at the HSSIB report and hearing from Hat
5 Porter, do you accept that this is a risk?

6 A. I accept that they have said that some staff that
7 they spoke to, yes. There was also some positive
8 stories as well that was raised by HSSIB.

9 Q. Has Oxehealth seen any examples of overreliance on
10 Oxevision as a replacement for therapeutic
11 engagement?

12 A. Speaking from my experience, I believe that that was
13 raised at one of the inquests that I attended.

14 Q. So it is an issue that you are aware of and
15 Oxehealth would be aware of?

16 A. (No verbal response).

17 Q. What could be done to prevent this overreliance on
18 Oxevision?

19 A. Again, as I said earlier, this is an assistive tool
20 providing staff with information that they didn't
21 have access to and it's around the providers'
22 Standard Operating Procedure and their governance
23 processes. I think there are things that we have
24 done, as in those safeguards that I spoke about that
25 are inbuilt into the system.

1 Q. Thank you. You refer in your statement to EPUT and
2 Oxehealth producing an Early Insights
3 and Implementation Lessons Learned report. Sorry, I
4 will say that again. Early Insights
5 and Implementation Lessons Learned report in August
6 2020. You say this at paragraph 89 of your first
7 statement. It includes that early evidence suggests
8 that the Oxehealth system is delivering operational
9 efficiencies through fewer avoidable close
10 observations, positive risk taking in stepping down
11 observation levels and faster observation rounds.

12 Now is that an example of how the use of
13 Oxevision may lead to greater risk and lower
14 therapeutic engagement?

15 A. I wasn't involved in writing that report and that
16 was pre my employment with Oxehealth. However, that
17 report was written in conjunction with EPUT, so
18 Mr Trent may be in a better position to answer that.

19 Q. Just picking up on something the Chair asked you a
20 moment ago, would you agree that face-to-face
21 observations, rather than conducted through a
22 screen, provide a way to spend time and be with a
23 person and so build a therapeutic relationship?

24 A. Yes, I do agree with that, however, not if a patient
25 is sleeping at night and asleep.

1 Q. Thank you very much. Where do you think Oxehealth's
2 responsibility lies in ensuring that the technology
3 is put to appropriate use?

4 A. I think we provide training to organisations in
5 relation to product training, so how the system
6 works, i.e. what do you select when and what the
7 system looks like. I think there is a lot of
8 national guidance out there now in relation to
9 remote patient monitoring systems. So we had the
10 guidance from the Nurse Directors Forum across
11 England and Wales from 2022. There is now the NHSE
12 principles and more recently the Care Quality
13 Commission.

14 Q. We will come on to touch those specifically in
15 relation to consent in a moment. Thank you very much
16 for that. Could you take that down, please. Chair, we
17 have reached quarter past 3, so it may be a good time
18 for a break for 15 minutes, please, until half-past.

19 THE CHAIR: Yes, till half-past.

20 (3.13 pm)

21 (Break)

22 (3.33 pm)

23 MR GRIFFIN: Ms Cozens, we've been talking about concerns
24 that have been raised about the operation of
25 Oxevision and I would like to come on to one more

1 now, please. You have told us about the audible
2 alerts that are part of the functioning of the
3 system. Would those have been part of multiple
4 alarms of different types on a typical mental health
5 in-patient unit?

6 A. So in my experience the other type of alarms or
7 noises that you have going on could be, for
8 instance, and again this is my own experience, a
9 doorbell for the ward, so anyone entering that
10 environment they may be required to press a
11 doorbell, or a telephone ringing, or fire alarms,
12 but they are few and far between. Possibly incident
13 alarms, although I know some mental health units
14 these are, rather than being across the whole ward,
15 they are on individual devices that are carried by
16 staff, as well as like a call bell, like nurse call
17 bell systems for rooms.

18 Q. So the Oxevision audible alert would be one of a
19 number of alarms or other noises that would be in
20 the background in any mental health unit?

21 A. Yes, the alert could be.

22 Q. Now we have already seen in the usage report logging
23 alerts and how they have been resolved, reset. What
24 I would like to do now is look at another part of
25 Hat Porter's evidence to this Inquiry, please.

1 Please put up STOX009054 at paragraph 16 and expand
2 paragraph 3.33. So this statement says that:

3 "We are also aware that alarm fatigue is
4 recognised as a significant patient safety issue for
5 most types of patient monitoring technology - and
6 the same is true for Oxevision and other VBMS.
7 Evidence at inquests has exposed delays in staff
8 responding to alarms on mental health wards, even
9 resetting them without making necessary checks on
10 patient safety. This is not a new phenomenon" --
11 and they go on to talk about hospital environments
12 in the US.

13 Do you accept that there is a problem of staff
14 failure to attend Oxevision alarms in a timely
15 manner?

16 A. So I think if we take the subject of alert fatigue
17 first, so it is a provider's choice what alerts that
18 they have depending on the patient population. And
19 I think I spoke about it briefly earlier, where we
20 have seen providers do some analysis of their own
21 incident data first around actually what alert would
22 be suitable and doing this off the back of that
23 analysis of incident data. We quite often see that
24 there are certain alerts that are configured for
25 time periods only, so not constant. So again, if I

1 provide an example it might be helpful. It could be
2 that on an older person's ward that actually the
3 leaving bed and the out of bed alerts are configured
4 for a nighttime period only, because that's when
5 people are in bed. During the day the majority of
6 people are up.

7 Q. Those are things, if I may say, that may be used to
8 address alarm fatigue. My question was, do you
9 accept that there is a problem of staff failure to
10 attend Oxevision alarms in a timely manner?

11 A. I think, again, based on the experience of the
12 inquests that I have attended, alerts have been
13 attended to by staff and again without going into
14 the specific inquests. However, that in person
15 check, according to EPUT Standard Operating
16 Procedure, may not have taken place.

17 Q. Can we just deal with the inquests. You refer in
18 your second statement to four inquests, following
19 deaths at EPUT, where Oxevision had been used. Now,
20 three of those inquests involved the muting or
21 resetting of alarms by staff. Elise Sebastian, who
22 died on 19 April 2021; Michael Nolan, who died on 10
23 July 2022 and Morgan-Rose Hart, who died on 12 July
24 2022, so just two days after Mr Nolan. So those
25 deaths are 15 months apart. When did Oxhealth

1 first consider and address the risks of muting of
2 alerts, or resetting?

3 A. So it's the resetting of that alert, so that alert
4 has triggered when it should have triggered and
5 staff have interacted with the system. What staff
6 have then done afterwards is a matter of EPUT
7 Standard Operating Procedure. But I think what we
8 have done is consideration around what we spoke
9 about earlier, so user auth. So again, it's down to
10 a provider about certain parts of the system where
11 staff could be required to log in, so therefore you
12 would know who has reset that alert, if that's what
13 was decided by a provider.

14 Q. Zephan Trent says in his first statement to this
15 Inquiry, that in May 2021, so that would be the
16 month following Elise Sebastian's death, he puts:

17 "Oxehealth project board explored the potential
18 to lockdown the audible alert volume to 75% on the
19 fixed monitors. This was explored to remove the
20 potential for staff to be able to physically change
21 the volume setting. The outcome was that there
22 wasn't a practical method to eliminate the
23 possibility on the fixed monitors. However all
24 tablets are preset at 75% volume and are not
25 adjustable by staff."

1 Now, that is before your time at Oxehealth, but
2 do you accept that Oxehealth was aware at this time
3 of concerns that staff were resetting the volume, or
4 reducing the volume of Oxevision alerts?

5 A. I do and there was those conversations that happened
6 with EPUT. I also think it's important that we do
7 have some organisation where they allow for this to
8 happen and that's written within their Standard
9 Operating Procedure. So if I give you an example,
10 particularly at night, for instance, where they
11 don't want the noise of the alert disturbing people,
12 so we have had organisations request whether the
13 tablet could vibrate instead of making a noise, for
14 instance.

15 Q. When you said they allow for this to happen, did you
16 mean that there could be scenarios, the one you just
17 explained, at night where it is appropriate to mute
18 the volume of a monitor or a tablet?

19 A. To turn it down or to not necessarily have the
20 tablet in an area where it may disturb patients who
21 are sleeping.

22 Q. But my question was directed more at Oxehealth's
23 knowledge of these serious issues that were arising
24 in inquests in relation to patients who had died at
25 EPUT, and I think you have answered that Oxehealth

1 were aware of that and were engaging with the
2 provider?

3 A. That's correct, yes.

4 Q. Is this a concern, this muting or resetting, that
5 has arisen in other trusts that you are aware of?

6 A. I may be aware of one other incident.

7 Q. Thank you. Does Oxehealth accept that this may be
8 linked to alarm fatigue?

9 A. I think the config of alarms is regularly reviewed
10 by organisations, and I think this comes down to
11 staff engagement and staff communication, again
12 around standard operating procedures. So an example
13 would be another piece of technology on the ward,
14 say for instance, a defib machine. You wouldn't
15 expect staff to go and unplug that if that's being
16 charged within a clinical room. So therefore, it's
17 around that communication with staff that the volume
18 is the volume and you don't touch it.

19 Q. Zephan Trent refers to tablet volumes being preset
20 to 75 per cent as we just heard. Are there any
21 other ways the system is designed so that staff
22 can't simply ignore alerts?

23 A. So we have spoken about the volume preset. I
24 suppose if staff didn't have access to the tablets,
25 if they made a conscious decision to not engage with

1 the tablets, there could be a possibility. But
2 again, this is an assistive piece of technology.

3 Q. Thank you. Just moving on now to video, continuing
4 with concerns that have been raised about the
5 operation of Oxevision. I would like to begin just
6 by ensuring I understand the different ways in which
7 video can be accessed by those operating Oxevision
8 and the circumstances in which video data can be
9 captured. So we have heard about the 15 second
10 clear view, also that could be used, not just for
11 vital signs checks, but for the purposes of
12 conducting remote observations, correct?

13 A. It's the vital signs check within the observation,
14 so it's exactly the same as how you would access it
15 via the room tile. That's just built into being
16 able to access as part of those mental health
17 observations as well.

18 Q. And up to 15 second of blurred video following a
19 notification, correct?

20 A. That's correct.

21 Q. Just dealing with blurred video, please, you tell us
22 in your first witness statement that blurred video
23 data is typically kept for three months, that is
24 paragraph 131. What is the purpose of keeping
25 blurred video data at all?

1 A. Sorry what paragraph?

2 Q. Paragraph 131.

3 A. So if I, again, provide an example. So if a
4 customer notified us of a serious incident and said,
5 "We expected an alert to be triggered", we would be
6 able to take a look via the anonymised video data.
7 Again, it's anonymised, and I think it's also
8 important to note that you can roughly tell where a
9 human is within the room and it's one frame per
10 second. So it's more like a series of images,
11 rather than a complete video. So yes, so we would
12 be able to check if that alert has triggered or
13 hasn't triggered or what was going on, but again,
14 following a customer query that would be.

15 Q. Why for three months? Why keep it for three months?

16 A. I'm not sure why three months. I wasn't involved in
17 that decision.

18 Q. Thank you. Oxehealth's current clinical project
19 meeting slide deck says that in addition to viewing
20 up to 15 seconds of live blurred video during safety
21 notifications, you can replay 10 minutes of blurred
22 video after safety notifications. Is that correct?

23 A. Again, it's configurable. So you would be able
24 to -- it would provide you with five minutes of
25 blurred video before an alert was raised and then

1 five minutes after. So again, an example would be
2 if somebody has had a fall within a room, you would
3 be able to check what happened in the lead-up to
4 that fall, how that fall occurred, has that person
5 hit their head, is it simply down to the layout of a
6 room, so do pieces of furniture need to be moved to
7 prevent that from happening again? So from a
8 learning lessons point of view.

9 Q. Are you aware if EPUT have the 10 minutes blurred
10 video replay facility?

11 A. Again, you would have to ask EPUT or I could find
12 out for you.

13 Q. How long has it been available that facility?

14 A. Again, I would have to find out to give you the
15 accurate date.

16 Q. Thank you very much. You refer in your first
17 statement to guidelines for using the Oxehealth
18 system that were provided to EPUT in February 2020.
19 Could we go to OXHE009047 at page 3, please. So
20 these guidelines from, or at least that were
21 provided in 2020, say:

22 "The use of the Oxehealth system for bedroom
23 observations. Observing staff should ensure that,
24 when a patient is in the Oxehealth room, they take
25 and document the vital signs of that patient

1 every 15 minutes.

2 So at every 15 minutes, use the Oxehealth
3 system to take the patient's pulse and/or breathing
4 rate; document the vital signs on the observation
5 sheet, including any visual causes for concern and
6 actions to take. This will include any unusual
7 signs or abnormalities notices from the results."

8 Does that remain Oxehealth advice?

9 A. No, so this was provided in the very early days, so
10 2020, and this was around providing a sample. So an
11 example of possible guidelines. This isn't how, we
12 are not directing how the system should be use.

13 Q. So the provider, in our case EPUT, will decide what
14 level of observations is appropriate on a
15 patient-by-patient basis; is that correct?

16 A. That's correct.

17 Q. And I think every 15 minutes is level 2
18 observations; is that correct?

19 A. It depends on where you work and what the
20 environment is.

21 Q. But there are more enhanced versions of observations
22 that require closer observation of a patient.
23 Correct?

24 A. Yes, so there tends to be four levels of
25 observation, so general, intermittent, eyesight and

1 then arm's length.

2 Q. So this would be intermittent, every 15 minutes or

3 so?

4 A. I have worked somewhere where this was general

5 observations every 15 minutes.

6 Q. I think I am not going to get very far with this.

7 Generally speaking, is it right that a member of

8 staff may legitimately be accessing clear video data

9 of a patient multiple times an hour, particularly if

10 they fail successfully to take vital signs and

11 measurements on the first attempt?

12 A. Possibly, if that's care planned for that patient.

13 Q. And is it also correct that the patient will not

14 know when those observations are being made within

15 any given hour?

16 A. Yes, so they are sporadic.

17 Q. And all they will be aware of is the camera in their

18 room, not when someone is watching them through it?

19 A. That's correct.

20 Q. Could you take that down, please. Is there also a

21 concern about the misuse of the system by staff.

22 For example, the possibility that staff accessing

23 the clear video facility multiple times, that they

24 access it multiple times in a row, effectively

25 providing a much longer live feed of a patient?

1 A. That is possible. However, I think we have spoken
2 about the safeguards that can be put in place to
3 deter that from happening, as well as those
4 safeguards outside of the system as well and the
5 usage reports.

6 Q. Thank you. But in theory a member of staff would be
7 able repeatedly to access up to 15 seconds of clear
8 view data and video feed?

9 A. That's correct.

10 Q. Isn't that effectively CCTV?

11 A. It's not designed as CCTV or surveillance and it's
12 not designed for that use.

13 Q. But it can be used in that way?

14 A. You would hope that people wouldn't use it in that
15 way. I don't think anybody goes to work purposely
16 to not carry out their job correctly. But yes, it's
17 not designed to be used in that way.

18 Q. Hat Porter, on behalf of Stop Oxevision, has
19 referred to this point about there being no way of
20 knowing if someone is watching, particularly for
21 example, if you are getting undressed. They say
22 there is always the potential that someone is
23 looking and they describe this as intrusive,
24 undignified, dehumanising and traumatising. Do you
25 understand such concerns?

1 A. I do understand.

2 Q. Are you aware of concerns about patients feeling
3 distressed or experiencing a worsening of existing
4 paranoia or psychosis by having a camera in their
5 room?

6 A. I do understand that from certain individuals, yes.

7 Q. The Inquiry will be hearing troubling evidence from
8 Tammy Smith about her daughter Sophie Alderman, that
9 the presence of what is presumed to have been an
10 Oxevision camera in her room caused or exacerbated
11 severe paranoia. To what extent does Oxehealth
12 consider that it has a responsibility to minimise or
13 mitigate long-term trauma experienced by some
14 patients as a result of the presence of a camera in
15 their room?

16 A. I think, as I said earlier, we recognise the fact
17 that this platform or the use of the platform may
18 not be suitable for everyone. However, I would just
19 like to highlight that again, from one of our
20 providers, that there was a patient who had previous
21 traumas and found it very distressing to have male
22 staff conducting what he described as obtrusive
23 nighttime observations, and the MDT had discussions
24 with the patient and made a decision that actually
25 to use the system at night, to stop that for him, to

1 stop that introducing trauma for him.

2 Q. But that goes back, if I understand it, to your
3 point that there should be individual assessment of
4 the use of the system on a patient-by-patient basis?

5 A. That's correct.

6 Q. Thank you. We have also talked about vital signs
7 trends and the fact that the system is always trying
8 to engage with the person in the room in order to
9 get average vital signs information; correct?

10 A. That's correct.

11 Q. Can you see how knowledge that a system is trying to
12 engage with an individual regularly or constantly,
13 to take their vital signs, might of itself be of
14 concern to them?

15 A. Again, yes, and that's where those conversations and
16 assessments should take place and ensuring that
17 patients know what the system is and what it does
18 and what it doesn't do and how staff are going to
19 use it.

20 Q. Would you accept that the operation of Oxevision,
21 whether just by the presence of a camera in a
22 bedroom or whether by way of allowing access to
23 clear or blurred video or by constantly and
24 automatically engaging with a patient in the
25 background, marks a substantial invasion of their

second

1 privacy in their bedrooms?

2 A. Again, as I have said, the use of the technology may
3 not be suitable for everyone. But there is a
4 flipside to that as well and that's where those
5 conversations with clinicians, patients and their
6 carers needs to take place.

7 Q. Thank you very much. I would like now ask you about
8 whether Oxevision can fairly be compared with CCTV
9 or forms of surveillance, please. We have already
10 touched on the possibility of multiple views of
11 clear video. Can we look at what you said in your
12 statement about this, please. I am going to have it
13 put up on the screen. It is OXHE009987. It is your
14 paragraph 7 to 9:

15 "The use of the words CCTV and surveillance.

16 7. Oxehealth has noted in the concerns raised
17 by Stop Oxevision and in other materials, the
18 Oxevision system has been described as 'CCTV' and
19 'surveillance'. We consider these terms to be
20 inaccurate and not reflective of the system's true
21 nature or functionality. It differs from both of
22 these systems in the following ways.

23 8. For CCTV and surveillance systems, video
24 images are available continuously, with a live video
25 feed visible on a screen. This is not the case with

1 Oxevision; Oxevision does not display continuous
2 video images. A user can only see a clear video
3 feed into a room for a maximum of 15 seconds when
4 taking a patient's vital signs ...

5 9. There are no other circumstances where
6 staff can clearly see into a room. Oxevision is
7 designed to provide clinicians with valuable
8 clinical insights and data which CCTV and
9 surveillance systems do not."

10 Is that all correct?

11 A. That's correct.

12 Q. Could you please take that down. Can we look at the
13 position with clear video data, please. We have
14 covered this in part already, but I want to return
15 to it. You have said that Oxevision has the ability
16 to deliver secure video recording under strict
17 controls to support the investigation of safety
18 incidents. This is paragraph 22 and 132 of your
19 first statement. You say that clear video data is
20 encrypted and stored on servers on site at EPUT, and
21 you add that it is automatically deleted from the
22 server after 24 hours. You were talking earlier on
23 about a 24-hour buffer, is that describing what this
24 says?

25 A. That's correct.

1 Q. Thank you. Is the situation then that Oxehealth can
2 retrieve clear video data from servers held at EPUT
3 but that a request for this data must be made by
4 EPUT within 24 hours?

5 A. So no one from Oxehealth can view that video data.
6 However, yes, if a customer requests it, so EPUT, it
7 is stored on their local server. We can prevent
8 that from being auto deleted on that buffer, and
9 then that is directed to a nominated person at EPUT,
10 and that is clearly outlined within their Standard
11 Operating Procedure and there are governance and
12 controls over that.

13 Q. That could be a member of their legal team, for
14 example?

15 A. I believe it is.

16 Q. So we have got 24 hours that we are talking about.
17 What is actually available to access over that
18 24-hour period? So we have spoken about accessing
19 up to 15 seconds of clear view data for the purposes
20 of vital signs observations. Is what is accessible
21 limited to those 15 second intervals when members of
22 staff have interacted with the system, or is it
23 actually possible to access more clear video than
24 that?

25 A. For the purpose of a serious incident?

1 Q. Yes. So let's assume there has been a serious
2 incident. A request is made by a provider for
3 assistance from Oxehealth. You have spoken about a
4 24-hour period. What is actually available to
5 access for that 24-hour period?

6 A. So again an example. So if a serious incident
7 occurred between the hours and 6 and 7 in the
8 evening, a provider could request for that hour of
9 clear video data to be saved, so it's not auto
10 deleted, in order to be able to review what has
11 happened to a patient.

12 Q. Can we just take stock. Does that mean that the
13 Oxevision camera is on and recording clear video all
14 the time?

15 A. So it has that clear video buffer for a 24-hour
16 period if the system is switched on, and again that
17 is a choice for an organisation. That is not --
18 they don't have to have that.

19 Q. I understand that EPUT do have this facility,
20 correct?

21 A. They do.

22 Q. So let's just recap. The camera in the patient's
23 room, if it's switched on, is recording all the
24 time, correct?

25 A. That's correct; but nobody has access to that unless

1 that's requested and under those strict governance.

2 Q. But it could be requested and it could subsequently

3 feature in a criminal trial or an inquest; correct?

4 A. That is correct. Again, the Nurse Directors' Forum

5 guidance has got a section in there about the use of

6 video data and data in investigations, and again,

7 that would be dependent on the provider of what they

8 deem as appropriate use of that.

9 Q. Understood, but it's pretty significant, isn't it,

10 if an Oxevision camera, when the system on, is

11 filming all the time, isn't it something that

12 patients should know about?

13 A. I agree they should know about, they should know

14 about what the system does and doesn't do and how

15 that may be used.

16 Q. Do you know whether trusts and providers, such as

17 EPUT, actually explain that to their patients?

18 A. Again referring back to one piece of the national

19 guidance, which is the Nurse Directors' Forum

20 guidance, it's clear in there what should be

21 communicated to patients, it should be completely

22 open and transparent.

23 Q. Has Oxhealth ever advised that this specific aspect

24 of the system should be communicated to patients?

25 A. I think we always say that patients should be

1 informed about what the system does and doesn't do
2 and any data around the system.

3 Q. Would you agree that filming a patient 24 hours a
4 day constitutes a very significant invasion of
5 privacy?

6 A. Possibly, yes.

7 Q. A patient would want to know, for example, I put to
8 you, because they may want to get changed in the
9 bathroom rather than in their bedroom, would you
10 agree?

11 A. Again, it's that communication with patients.

12 Q. So there are practical circumstances that arise from
13 the fact that the camera is always filming. You
14 have mentioned this, the CQC guide, and I would like
15 to go and have a look at that, please. Your second
16 statement mentions that in August 2025 the Care
17 Quality Commission published a guide on digital
18 contactless patient monitoring technologies in
19 mental health in-patient services. The full title
20 is:

21 "Brief guide: Digital contactless patient
22 monitor technologies in mental health in-patient
23 units."

24 Is it right that the guide sets out what CQC
25 inspectors look at when inspecting services that use

1 digital contactless patient monitoring technologies?

2 A. That's correct.

3 Q. And that it applies in mental health settings?

4 A. That's correct.

5 Q. Amanda, could you put up OXHE010156 at page 5. This
6 is from August 2025. Can we see here:

7 "Our position on the use of digital contactless
8 patient monitoring technologies by mental health
9 in-patient services."

10 Just the second bullet point:

11 "These technologies should not be used for
12 covert surveillance purposes. Surveillance should
13 not be carried out in a way that is designed to make
14 people unaware that surveillance is (or may be)
15 taking place. This guidance must not be interpreted
16 as CQC tasking or authorising covert surveillance
17 activity."

18 Do you accept that a camera in a patient's
19 room, which records continuous footage and stores it
20 without their knowledge, constitutes in most
21 people's minds the use of a CCTV system for
22 surveillance purposes?

23 A. I think the important thing there is about "with
24 their knowledge". Again, it's about informing them
25 about the system, what it does, what it doesn't do

1 and in what circumstances this type of data may be
2 accessed or reviewed.

3 Q. Thank you. Could you take that down, please. Just
4 moving to look where the video data we've been
5 talking about is kept, could you put up EPUT009018
6 at page 20. This is part of the data protection --
7 the DPIA from EPUT from 2014, the data protection
8 impact assessment. Can we go to the bottom at 14,
9 we see there, "Are you transferring information?"

10 Then could you go over the page please and
11 expand from the top, thank you, to just above "put
12 an [x] next to all that apply" at the bottom. The
13 question was, "Are you transferring information?"
14 We can see that "yes" is ticked. "How will that
15 information be transferred? We use a cloud-based
16 strategy to provide clear video data." We will come
17 back to that -- sorry, would you expand down, thank
18 you. Then we see:

19 "How will you ensure that information is safe
20 and secure? All data generated by the Oxevision
21 system is stored on local secure servers at EPUT
22 Oxevision deployed sites."

23 That's a point we have covered already, isn't
24 it? Some data, we will come back to work out what
25 these acronyms mean in a moment, AVD, APD, UIOD, SID

1 and PHRD is backed up to Oxehealth's secure cloud
2 servers provided by Amazon Web Services, and you go
3 on to say that those are based in UK data centres.
4 So some data is actually held by Oxehealth; correct?

5 A. That's correct. That's not personally identifiable
6 data.

7 Q. Thank you. So we just go back to using a
8 cloud-based strategy to provide clear video data.
9 Would this be data that's being provided from EPUT
10 to Oxehealth following an incident. Is this
11 tracking actually physically how that data would go
to
12 Oxehealth?

13 A. No, again, I believe this is an EPUT document.

14 Q. Yes, I know.

15 A. I believe what they are referring to here is the
16 transfer of that clear video data, should they have
17 requested it, and how that is transferred to them.

18 Q. So that is coming from Oxehealth and going to EPUT?

19 A. It's coming from the servers on EPUT that we are
20 transferring, so that's only because it's got the
word
21 "Egress" there. So Egress is -- it's used by the
22 NHS anyway to transfer and send data. It's a secure
23 delivery platform --

24 Q. Rather than getting you to try and interpret another
25 organisation's document, I think I can simplify

1 this. When clear video data is need, for example,
2 following an incident for an investigation, we have
3 heard that the data is held on a server at the
4 provider, in our case EPUT, but we have also heard
5 that it requires access from Oxehealth to access the
6 data; correct?

7 A. We don't access the data, no, because it's
8 completely encrypted?

9 Q. Sorry, it requires Oxehealth involvement to provide
10 the data from the server to, for example, a member
11 of EPUT's legal team?

12 A. In the simplest terms, yes.

13 Q. Is there any stage at which that data is held by
14 Oxehealth rather than by EPUT, as far as you are
15 aware?

16 A. The clear video data, no.

17 Q. Are there any circumstances in which Oxehealth might
18 obtain and retain a patient's clear video data, for
19 example, for research purposes or to develop further
20 functionality?

21 A. No.

22 Q. You say that with great certainty, you are sure
23 about that?

24 A. Yes. I wonder whether it's important to say, so
25 again this is from experience, so I have seen some

1 clear video data when I have been involved with
2 inquests but that's not -- I haven't, I haven't
3 accessed that from Oxehealth's point of view.
4 That's been provided via the coroner, I think it is
5 just important to highlight that.

6 Q. Yes. We have seen these acronyms. Can we come back
7 to that. Could we go to page 23 of this document,
8 please, could you expand the second, third and
9 fourth paragraphs. So from anonymised data. That's
perfect. So this just describes what
10 those acronyms are. So we saw AVD and that's
11 "Anonymized (blurred) Video Data"; correct?

12 A. That's correct.

13 Q. Then we see "Algorithm Processed Data", do you know
14 what that is?

15 A. So that is, my understanding is that it's in
16 mathematical format, so it's number format of things
17 like pulse and breathing rate, but it's not, when I
18 say mathematical it's not just a number. There's --

19 Q. So it's data of some form?

20 A. Yes.

21 Q. And "User Interface Output Data", do you know what
22 that is?

23 A. So that is what I referred to earlier in relation to
24 room states, device usage, what alerts have been
25 triggered.

1 Q. And so this says they:

2 "Do not constitute personal data in
3 circumstances where Oxehealth does not have access
4 to Clear Video Data."

5 I think that's a point you made earlier about
6 blurred video. Can we just see this:

7 "Oxehealth only uses these data to provide
8 Oxehealth Service to the EPUT and for monitoring and
9 improving the Oxehealth system" -- and -- "Oxehealth
10 has a retention policy of 2 years for these data,
11 after which they will be deleted."

12 So, for example, blurred video data is
13 accessed and retained by Oxehealth for up to two
14 years; is that correct? As far as you are aware?

15 A. As far as I'm aware it's for three months. Again,
16 this is an EPUT document.

17 Q. Okay, so that's something we can resolve, but for a
18 period of time, whether it's months or years. And
19 one of the reasons for keeping the data, as we can
20 see there, is for improving the Oxehealth system.
21 Is that correct?

22 A. Not necessarily, so all algorithm and product
23 creation, so that's including the medical devices,
24 is carried out on data owned by Oxehealth and
25 collected with explicit consent of individuals. So

1 an example of this would be Oxehealth staff. So if
2 we are -- we have got a demo room within our office,
3 if we are looking at product development or algorithm
4 creation, then we will use Oxehealth staff for that
5 or individuals with explicit consent?

6 Q. Thank you. We are just dealing with blurred,
7 anonymised or blurred video data, could that be
8 retained and kept to improve the Oxehealth system?

9 A. As far as I'm aware, no.

10 Q. So we may come back to you about some of this data
11 protection stuff and you could follow up, if
12 necessary, in that way?

13 A. I could do that, yes.

14 Q. Would you be willing to do that?

15 A. Yeah, yeah, I'm not the data protection officer,
16 that's not my area of expertise.

17 Q. I totally understand and that's the reason why I
18 think we may follow up separately following this.
19 Can you take that down please? May I ask one more
20 question about clear video. Can a member of staff
21 access a clear video on a tablet prior to making a
22 vital signs check. I think the answer is yes, but I
23 just wanted to double check.

24 A. Yes, the tablet devices and the fixed screen work in
25 exactly the same way.

1 Q. Isn't there a danger that other patients or people
2 near to the staff member using the tablet may be
3 able to see the clear video data as well, the clear
4 video view?

5 A. Again, that's something that I would expect staff
6 who were using the system to be well aware of, the
7 same as if you were having a conversation with a
8 patient that may contain sensitive information, you
9 wouldn't do it in a day area.

10 Q. We are going to come on to consent in a moment and
11 the circumstances in which a camera may be switched
12 off. Before we do, I would like to cover with you
13 whether there is currently any way for patients to
14 be certain that Oxevision has been turned off in
15 their room. You spoke about the infrared element
16 glowing red, for example, even, I think, if the
17 system is off or not recording; correct?

18 A. That's correct.

19 Q. So patients would have no way of knowing whether the
20 camera was on or switched off?

21 A. So I think those conversations with staff, and I
22 have heard examples of organisations where staff may
23 show the patient the home screen, so that's the room
24 tiles, and it would specifically say on the room
25 tile "camera off".

1 Q. That would involve some human interaction to put
2 them on notice that the system had been switched
3 off; correct?

4 A. Yes.

5 THE CHAIR: Can I ask a very basic question, forgive my
6 ignorance. Why can't the infrared light be switched
7 off?

8 A. That's one thing we are currently looking at. So
9 currently when the system is switched off and not
10 recording any data it's due to how the housing unit
11 is powered. So, again it's powered -- so, for
12 example, by one cable, again this is an example, so
13 therefore you can turn the camera off but that power
14 is still running through. But that is something we
15 are looking at in relation to the redesign.

16 THE CHAIR: So you could have a system where the light
17 went off?

18 A. Yes, it's possible, yes.

19 MR GRIFFIN: Zephon Trent has said in his third statement
20 that EPUT understands from Oxehealth that nothing
21 can be done about that design element, the light,
22 which you have just said. However, Oxehealth have
23 agreed to produce a new housing to try and alleviate
24 concerns about privacy and subject to consultation
25 and feasibility. This will be rolled out in 2026.

1 Do you know whether that is still on track for
2 delivery in 2026?

3 A. As far as I'm aware, yes, so we are still developing
4 that new monitoring unit. No decisions have been
5 made to date but as far as I am aware that is still
6 on track.

7 Q. Do you know why it is taking so long to provide that
8 solution?

9 A. I think there's many things that play into that and
10 that is the design of something that is suitable for
11 mental health environments, so there are certain
12 standards within some environments that need to be
13 -- so tamper proof and things like that.

14 Q. Thank you. We have covered a number of concerns
15 that have been raised about the operation of
16 Oxevision. Do you accept that its operation has
17 caused real concern to patients for a variety of
18 reasons?

19 A. Sorry, can you repeat that.

20 Q. Do you accept that the operation of Oxevision has
21 caused real concerns to patients for a variety of
22 reasons?

23 A. So I accept that some people will have concerns
24 about the system and again going back to what I said
25 earlier that this may not be right for everybody,

1 but there are some patients that do benefit from it.

2 Q. Thank you very much. Moving now to the issue of
3 consent, to the use of Oxevision. In your first
4 statement, this is just for your reference, 77 and
5 78, you say that:

6 "Oxehealth has always stated that where the
7 Oxehealth system is installed all service users and
their
8 careers are informed and that consent for its use
9 whilst within in-patient services will be required."

10 So has always stated that. And you say in the
11 next paragraph:

12 "It is Oxehealth's understanding that on
13 admission to the ward all patients and family
14 members will be informed about the Oxehealth system
15 and will be provided with a leaflet to explain what,
16 when and how they record activity and vital sign
17 measurements."

18 Does that remain the position?

19 A. That's correct, and when we talk about leaflets, we
20 talk about those national co-produced leaflets to
21 ensure that there is consistency nationally with how
22 the system is explained and what it does and doesn't
23 do.

24 Q. And in fact we may look at a leaflet tomorrow with
25 Mr Trent. Oxehealth guidance on consent and signage

1 for patient, staff and visitors from December 2019.
2 You refer in your statement to this. That's
3 paragraph 80 of your first statement and I would
4 like to look at it, please. Could you put up
5 OXHE009044, first page. Can we see that this says "
6 "Signage consent, guidance for customers". This is
7 an Oxehealth document and can we see actually the
8 date there is December 2019? Can we go to page 3 of
9 this document and expand the text in the top half:

10 "Signage and consent -- patients.

11 Customers should consider the potential impact
12 of the Oxehealth technology on any people who may be
13 recorded by it. These fall into 3 groups" -- and
14 the first of the groups is "Patients", right:

15 "If the system is being used in the normal
16 course of treatment, we do not believe there is a
17 need to obtain consent and many customers do not
18 seek consent. However, some customers do choose to
19 consent patients who have capacity.

20 We recommend you place signage notifying
21 patients of the use of the technology. For example:

22 Oxehealth monitoring system in use. Please
23 ask [ward] staff if you wish to learn more'."

24 We will come on to the rest in a moment. But
25 the suggestion here at the end of 2019 is that

1 Oxehealth did not need believe that there was a need
2 to obtain consent if the system was being used in
3 the normal course of treatment. Do you know what
4 the basis was for suggesting that no consent was
5 necessary?

6 A. I don't. So this predated my employment with
7 Oxehealth, however, from my perspective, I believe
8 that we should haven't said that. However, I do
9 believe it was with the best intention and it was
10 caveated, I think that's the next page in the
11 document, that states each organisation should seek
12 their own independent legal advice on consent. We
13 now don't advocate for any model of consent at all,
14 apart from what I had said earlier, that patients
15 have got to be informed, and carers. And I think
16 what we would do is point providers and
17 organisations to the national guidance out there so
18 the Nurse Directors, NHSE.

19 Q. We are going to come on to that. Just looking a
20 little bit more at what is on the screen:

21 "We recommend that patients with capacity, or
22 their representatives, who enquire about the system
23 should have the right to request that identifiable
24 video data are deleted; we recommend that they also
25 have the right to request that the system is turned

1 off" -- just for context there.

2 Could we take that down, please. So you have
3 referred a couple of times to the Nurse Directors
4 Forum national recommendations from 2022; correct?

5 A. That's correct.

6 Q. So these are from 29 September 2022 and you tell us
7 in your first statement, I think this is paragraph
8 44, that:

9 "The National Mental Health and Learning
10 Disability Nurse Directors Forum " -- shall we call
11 it the NDF -- "co-produced national recommendations,
12 guidance and best practice on safe use of Vision
13 Based Patient Monitoring Systems."

14 Is it right that the working group that
15 created the report included a representative from
16 Oxehealth?

17 A. It did on the basis that this was a new technology.
18 This technology didn't exist and, therefore,
19 ensuring that there was full understanding and
20 knowledge of what the system did, what it didn't do,
et
21 cetera.

22 Q. In fact, was that the UK managing director, so
23 fairly high level?

24 A. That's correct. I think there is a list of all names
25 that were involved in the guidance?

1 Q. Correct. Does the guidance suggest an approach to
2 the issue of consent?

3 A. There is a section on consent within the guidance.

4 Q. Shall we look at it, could you put up OXHE009034 at
5 page 6, please [16]. It says:

6 "We have provided two options for how to
7 implement an informed consent regime."

8 Then just dropping to the third paragraph:

9 "Whilst we put two positions regarding informed
10 consent here that providers may consider, we are in
11 no way recommending either of the approaches."

12 So the two informed consent positions below
13 each have advantages and disadvantages and need
14 clarity and proper structure in their implementation
15 to ensure the guidelines are followed. Can we see
16 that the first of the two positions is implicit
17 consent, on the screen? Number 1 "Implicit
18 consent"?

19 A. Yes, sorry.

20 Q. "all service users are opted in upon admission as
21 part of the standard practice on the ward. Service
22 users can raise questions and concerns, and there
23 should be regular opportunities for service users to
24 be engaged by staff in conversation about their
25 questions and concerns."

1 We can see:

2 "The responsible clinician will decide whether
3 to withdraw the use of the technology if in the best
4 interest of the patients, taking into account the
5 balance with individual preference, safety/risk
6 management and other alternatives."

7 Can we go to the top of the next page, please.

8 Thank you. We can see at the top there dealing with
9 the implicit consent model:

10 "This approach needs open and honest
11 communication."

12 I think that picks up on what you have been
13 talking about previously with the patient?

14 A. That's correct.

15 Q. And it says towards the bottom:

16 "It should be noted that most providers who
17 have deployed VBPMS to date have made use of some
18 form of this informed implicit consent model."

19 So this is recommendations from September 2022.
20 So as at that time that model seems to have been the
21 one that was being favoured according to this?

22 A. That's correct. I think it's important to add as
23 well, so I'm aware of two providers that, one sought
24 or consulted with the British Institute of Human
25 Rights and one consulted with the Information

1 Commissioner's Office. However, both came up with a
2 different consent model.

3 Q. So not one of the two that we are looking at?

4 A. So, no, so I think it's all the national guidance
5 including this document, NHSE principles, CQC
6 guidance, highlight how complex the issue of consent
7 can be and needs careful consideration.

8 Q. Can we look at the second model here "Explicit
9 consent", and we see here:

10 "service users opt in upon admission, with due
11 consideration given to an individual's capacity to
12 to make this decision."

13 And it says:

14 "This approach requires significantly more
15 staff confidence and competence to administer in
16 practice."

17 So is this approach, putting forward two models
18 but not saying to providers which they should
19 actually be using, do you think that reflected
20 Oxehealth's views at the time, given that there was
21 a high level representation on the NDF from
22 Oxehealth?

23 A. I believe so, and I think it does say there at that
24 last paragraph that it is recommended that all
25 healthcare providing organisations receive their own

1 legal and ethical advice on that position as well.

2 Q. And that picks up on a point you were making a
3 little earlier as well?

4 A. Yes, that's correct.

5 Q. Could you take that down please. You have also
6 mentioned the NHS England principles and they came
7 out in February 2025, Principles for Using Digital
8 Technologies in Mental Health In-Patient Treatment
9 and Care. You have explained in your statement,
10 this is your first statement from paragraph 52, that
11 the principles detail eight principles to guide
12 decision-making on procurement, implementation and
13 the use of digital technologies in mental health
14 in-patient settings. And that it says that the use
15 of digital technologies can support in-patient care,
16 giving patients a greater voice and choice in
17 their care and it says the use of digital
18 technologies should be accompanied by personalised
19 clinical decision-making. You say, and I quote from
20 your paragraph 55:

21 "Oxehealth agrees with this position and warmly
22 welcomes the publication of these principles, all of
23 which are consistent with the appropriate use of the
24 Oxevision system."

25 Can we just look at the principle materials

1 with consent and capacity. Would you put up
2 EPUT009000 at page 3. Here we see, "Principle 2:
3 Consent and capacity":

4 "Any decision to use digital technologies and
5 to collect and store patient data from the use of
6 such technologies must be based on consent from the
7 patient (or a person lawfully acting on their
8 behalf) or be taken following a best interests
9 decision-making process."

10 We can see:

11 "Where a patient has the capacity to consent to
12 the use of digital technology in connection with
13 their care and treatment, consent should always be
14 sought from the patient; and the use of the digital
15 technology should be regularly reviewed with them
16 and, if appropriate, with their families and
17 carers."

18 Can you confirm that Oxehealth considers this
19 principle, in particular, to be consistent with the
20 appropriate use of the Oxevision system?

21 A. Yes.

22 Q. Would you agree with this, and I think it may follow
23 from what you said, that Oxevision should not be
24 used in an undifferentiated way, that it's on in all
25 rooms in an in-patient unit as a default?

1 A. Sorry, say that again? I missed that.

2 Q. Would you agree with this. That Oxevision should
3 not be used in an undifferentiated way, that is in
4 all rooms in an inpatient unit with the default
5 being that it is turned on?

6 A. So on the whole, yes. I think there possibly may be
7 a situation, so when you are looking at things
8 around, and I think the CQC guidance highlights
9 this, that that may differ slightly when considering
10 detention under the Mental Health Act, yes.

11 Q. Thank you. But in principle, shouldn't it be used
12 for specific patients in specific situations decided
13 on a case-by-case basis?

14 A. Again, it's that individualised care that we have
15 spoken about.

16 Q. With informed consent explicitly obtained from
17 patients with capacity?

18 A. Yes.

19 Q. Hat Porter, on behalf of to be Stop Oxevision,
20 suggests that the possibility of genuine consent is
21 undermined in mental health in-patient units, where
22 there is little awareness of rights and patients may
23 be unable to advocate for themselves. In all of the
24 circumstances they maintain that Oxevision
25 technology is not compatible with the legal

1 treatment of mental health in-patients, and that it
2 could never be appropriate for consent to be given.
3 How do you respond to that suggestion?

4 A. I think consent is very complex, and I don't think
5 anyone is denying that, and I think when you look at
6 the guidance, I think that also indicates that
7 actually it's a very complex subject, especially
8 when you've got considerations around capacity, best
9 interests decisions and then you've got the Mental
10 Health Act possibly on top of that as well. So it
11 is a very complex area. However, those
12 conversations should be individualised and open and
13 transparent.

14 Q. Thank you. Could you take that down, please. You
15 tell us in your first statement that each
16 organisation is responsible for developing their own
17 standard operating procedures or SOPs for the use of
18 Oxevision, it is 29, be that Oxehealth supports this
19 by providing various documents and information. As
20 you will know, EPUT produced an updated SOP for the
21 use of Oxevision on 30 April this year, which was
22 published on 7 May. A flowchart in the SOP says
23 that the Oxevision system is currently in an on
24 state at admission and the patient will be required
25 to give informed consent for the Oxevision system to

1 remain on, or the Oxevision system will be switched
2 off within six hours. I will be asking Mr Trent
3 about the SOP in more detail tomorrow, but for
4 present purposes I just want to ask you this. Do
5 you think that it is appropriate that the system is
6 on as default for all patients for up to six hours?

7 A. So EPUT know their patient population. With
8 backgrounds, I think that -- yeah, I think there
9 could be -- there could be a conversation either way
10 or that. If that's what they deem to be
11 appropriate, then that's their decision.

12 Q. You say the EPUT know their patient population, but
13 isn't the whole point that that patient population
14 will be extremely varied, each with their own
15 personal characteristics. And I think this chimes
16 with what you were saying earlier, that decisions
17 need to be made on a case-by-case basis?

18 A. Yes, that is correct.

19 Q. Thank you. Can we move now to research being
20 conducted into vision-based monitoring systems, such
21 as Oxevision. As I mentioned, this is an area that
22 the expert health statistician will be reviewing. I
23 would like to go to your first statement, to part of
24 it that we have actually looked at before, but just
25 to remind ourselves. Could you please put up the

1 first statement at paragraphs 41 and 42. So you
2 talk here about the extensive evidence base
3 demonstrating the clinical and operational value of
4 Oxehealth's contactless patient monitoring system,
5 and you talk about what the evaluations show. We
6 have read this before. And you say:
7 "Most of this research is based on provider-led
8 service evaluations, a number of which have
9 culminated in peer reviewed journal publication."
10 And then you go on to talk about the key
11 findings that we had a look at earlier. That
12 presents a very positive picture of what the
13 research shows, doesn't it?
14 A. I think it's an honest picture.
15 Q. Do you know to what extent the research incorporates
16 patient feedback?
17 A. Without looking at each of the individual
18 publications, no.
19 Q. Fine, thank you. Could you take that down, please.
20 You refer in your second statement, this is
21 paragraphs 68 and 69, to a literature review
22 commissioned by the CQC. Is it right that this was
23 a rapid literature review, reporting in July this
24 year, with analysis of 68 research documents?
25 A. I believe so.

1 Q. Is its full title, "Exploring evidence regarding
2 vision-based monitoring in in-patient mental health
3 units."
4 A. Is that the literature review or the guidance?
5 Q. Yes, the literature review is what I am talking
6 about.
7 A. Okay.
8 Q. So just the full title, "Exploring evidence
9 regarding vision-based monitoring in in-patient
10 mental health units." That's the title?
11 A. I haven't got that, but yes.
12 Q. You can take it from me. In fact, that then
13 informed the CQC guide that we talked about.
14 A. That's correct.
15 Q. You quote from the review and so it's something that
16 I assume you have looked at yourself?
17 A. I have, yes, briefly.
18 Q. Don't worry I am not going to ask you about bits of
19 it without taking you to them. Can we look at part
20 of the report, please. Could you put up OXHE009976
21 at page 3, please. That's OXHE009976 on page 3, t
22 thank you. Could you expand paragraph 4. That's
23 fine, thank you. So this says: "The evidence was
24 qualitatively reviewed against the Nesta standards of
25 evidence framework. Based on this framework, the
overall quality of the

1 evidence base is varied. It is important to
2 highlight that a significant proportion of the
3 evidence reviewed was developed (or contributed to)
4 by individuals or organisations with a particular
5 interest in VBMS. This meant that much of the
6 literature presents evidence from a particular
7 viewpoint or perspective of VBMS."

8 Do you agree that overall the evidence base is
9 currently varied?

10 A. If that's what they found from their literature
11 review.

12 Q. The review goes on to identify the need for further
13 development of the evidence base, and suggests that
14 the voices of people with lived experience are
15 critically important. Do you agree that there is a
16 need for further development of the evidence base?

17 A. I think there's always the need to increase evidence
18 base, whether you are talking about a piece of
19 technology or anything else.

20 Q. Is there, in fact, currently insufficient evidence
21 to suggest that technologies such as Oxevision used
22 in in-patient mental health settings are achieving
23 the outcomes that they have been employed to
24 achieve?

25 A. No, I don't agree with that.

1 Q. Thank you, could you take that down, please. Just
2 dealing quickly with the rollout of Oxevision within
3 the NHS and at EPUT, starting with the NHS, you
4 explain in your first statement that Oxevision is
5 currently used by approximately 50 per cent of the
6 National Health Service mental health trusts and
7 that it has supported 70 million of hours of
8 in-patient care, that was up to the end January this
9 year. In your view why do so many trusts use
10 Oxevision?

11 A. I think so many trusts use it because they see the
12 benefit of the technology, and I think I have
13 highlighted a couple of those anecdotal quotes from
14 organisations, and for how this has had a positive
15 impact on patients' recovery and a patient's journey
16 within services.

17 Q. Thank you. Moving then to EPUT, you helpfully set
18 out in your first statement that signing of
19 contracts and rollout, you talk about that, of
20 Oxevision at EPUT, and you explain that Oxevision
21 first went live there on the Peter Bruff and
22 Ardleigh wards on 3 April 2020. There is paragraph
23 63 onwards?

24 A. Yes.

25 Q. A document provided by Mr Trent explains the

1 position at EPUT as at April this year, and that
2 Oxevision is currently on 30 in-patient wards, four
3 health based places of safety, eight seclusion and
4 long-term segregation and two intensive care rooms.
5 Is EPUT unusual in the extent of the rollout of
6 Oxevision there?
7 A. In comparison to other organisations?
8 Q. Yes.
9 A. No.
10 Q. Thank you. Can we move, then, to a final topic and
11 that is Oxehealth responsibility for the operation
12 of Oxevision. In your witness statements and today
13 you appear to draw a distinction between the system
14 offered by Oxehealth on the one side and the way the
15 system is actually deployed by a trust, such as
16 EPUT, on the other. To what extent do you think
17 that Oxehealth can distance itself from the way in
18 which its product is actually used in mental health
19 in-patient units?
20 A. I don't think it's about distancing ourselves. It's
21 about having those open honest conversations with
22 the organisations that we work with in relation to
23 the product, as well as our experts by experience
24 that we work with as well.
25 Q. Do you accept that as the developer, manufacturer,

1 paragraph 34 and you say there that:

2 "In November 2022 the activity tracker IFU" --
3 is that instructions for use?

4 A. Mm hmm.

5 Q. -- "was published and included intended use
6 warnings and cautions for the use of Oxevision
7 activity tracker, the part of the system that
8 provides location and activity based warnings and
9 alerts."

10 And you go on to say that there have been
11 updates to the instructions and that it's available
12 on the Oxevision fixed monitor, the instructions,
13 and from April 24 via your online training system,
14 OxeAcademy. Could you just perhaps explain a little
15 bit more about the activity tracker and what you are
16 talking about there in your statement, please?

17 A. So I spoke about earlier the various reports the
system can
18 provide. So the activity report is one of these
19 reports. Now, that provides, again, it's almost
20 like a bar chart, so down the left-hand side you've
21 got the days of the week, so over a seven day period,
22 and across the bottom you've got hours which cover
23 the 24 hours. What this shows is the activity
24 within that room during those periods of time. So
25 there's a colour key as well at the top, a colour

1 coded key. So this could show staff how long
2 somebody has spent in bed, how long somebody has
3 spent in their room, how long they have spent out of
4 the room. It just provides that information that
5 can be used as part of staff handovers, care
6 planning, MDTs, the weekly ward round discussions.

7 Q. So it is there as an element of the system to assist
8 staff?

9 A. Staff and patients. So in my previous role I have
10 use these reports with patients as part of their
11 care planning.

12 Q. Thank you very much. Given the advertised primary
13 functionality of Oxevision to monitor vital signs,
14 would you accept that the fact that it has not been
15 rolled out in any physical healthcare settings is
16 indicative of the relevant providers having concerns
17 about its use? So this would be concerns in
18 physical settings about the use of Oxevision.

19 A. So I don't think the vital signs function is the
20 primary use. I think that is an element of the
21 system. I think the platform provides so much other
22 information that can be useful for staff and
23 patients, and I believe there may be a possibility
24 in the future that it could be rolled out within
25 physical healthcare settings.

1 Q. Thank you. Would you accept that, in a psychiatric
2 in-patient context, conducting therapeutic as
3 opposed to physical vital signs observations
4 requires staff members to engage with the patient,
5 where awake, to ensure there are no adverse changes
6 to their mental welfare that require escalation?

7 A. Yes, I agree with that. When a patient is awake,
8 the purpose of that therapeutic engagement,
9 observation, however I do believe when somebody is
10 sleeping, and I think we have spoken about --

11 Q. You have made that very clear, the advantages of not
12 disturbing someone at night.

13 A. Yes.

14 Q. Is it your view that therapeutic observations should
15 only be conducted remotely via Oxe-Obs in
16 circumstances where a patient is asleep?

17 A. Yes, yes. So if somebody is asleep, and again I
18 think it's -- it's dependent on the patient as well,
19 so that the context of the patient and those
20 conversations that have happened with the patient.
21 I wouldn't advocate that this is done without any
22 conversation with the patient.

23 Q. The question is, is it your view that therapeutic
24 observations should only be conducted remotely, via
25 Oxe-Obs, when the patient is asleep, so that is

1 suggesting it shouldn't be used during the day. Is
2 your answer to that that it depends on the patient?

3 A. Again it depends on that individual. There may be
4 circumstances that it is suitable to use during the
5 day.

6 Q. If a patient is awake, would you accept that
7 conducting therapeutic observations remotely may
8 impair a staff member's ability to discern whether
9 the patient is suffering from signs of mental
10 distress or deterioration?

11 A. Yes. If somebody is awake, then those observations
12 need to be therapeutic. Therapeutic involves
13 conversations with patients.

14 Q. Thank you how much has Oxevision charged EPUT for
15 its services since implementation?

16 A. I'm unaware of that. That's not, again, within my
17 job role.

18 Q. Would you be aware whether it ran into millions of
19 pounds, for example?

20 A. I don't know, I'm sorry.

21 Q. You were asked about savings to providers and
22 responded by saying that the time was saved in terms
23 of paperwork and time spent responding to an
24 incident, such as a form. The Oxehealth LIO website
25 currently states in its benefits to providers

1 section under the heading, "Lowering costs and
2 realising Time to Care", lower need for one-to-one
3 continuous observation. Do you accept that saving
4 staff costs on time for observations is an explicit
5 part of Oxehealth's promotional model?

6 A. Could you repeat that, please? Sorry.

7 Q. Yes, of course. So the website currently refers to
8 one of the benefits of the system as being lowering
9 costs and realising time to care, and it says, "A
10 lower need for one-to-one continuous observation."
11 So that's being used on the website as an example of
12 a benefit. The question is, do you accept that
13 saving staff costs on time for observations is an
14 explicit part of Oxehealth's promotional model?

15 A. So I think if you have got an environment where
16 staff are provided with up to date and accurate
17 information, this may save time and costs of having
18 additional staff over and above that safe staffing
19 number, that substantive establishment that we spoke
20 about.

21 Q. Okay, thank you. You stated that you recognise that
22 the platform is not suitable for everyone. To what
23 extent is that fact communicated to providers at the
24 point of piloting the scheme?

25 A. I recognise that the platform may not be suitable

1 for everybody, and I would expect that providers are
2 able to recognise that as well.

3 Q. But the expectation would be that the provider, the
4 trust or whoever, should be aware of that fact
5 themselves?

6 A. So I think it's also within, and again I would have
7 to go back and double check this, but I think there
8 is an element of that within the Nurse Directors'
9 Forum as well.

10 Q. Thank you. How, if at all, did Oxehealth anticipate
11 that alerts may be marked as resolved or alerts may
12 be muted without a physical observation taking
13 place?

14 A. Again, it's about providers providing clear guidance
15 to their staff about how they expect alerts to be
16 responded to.

17 Q. I understand that. The question, though, is
18 actually about Oxehealth and whether, and if so how,
19 Oxehealth anticipated that alerts might be marked as
20 resolved and/or muted without a physical observation
21 having been undertaken before the muting, for
22 example? Is that something Oxehealth anticipated
23 might happen on wards?

24 A. No, I don't believe so.

25 Q. Inquests have noted repeated issues with training on

1 Oxevision, noting the language used by Oxehealth to
2 describe its own system, for example contact free,
3 vital signs observations, ambient monitoring unit,
4 vision-based monitoring technology and observation
5 modules. Do you accept that Oxehealth's use of
6 language may have contributed to confusion as to
7 whether Oxevision should be used by staff in lieu of
8 physical observations?

9 A. No. We try -- so the use of "ambient monitoring" I
10 don't believe that's ever been discussed at an
11 inquest that I have been part of or at. I think we
12 try and be as clear as possible around our language,
13 especially within our training materials to staff as
14 well.

15 Q. Thank you. Are you always updated by individual
16 trusts when they update their Oxevision protocols?

17 A. No. We don't hold copies of organisations'
18 protocols.

19 Q. You were asked about the problem at EPUT with staff
20 lowering the volume and/or resetting the alarm and
21 you were asked whether to your knowledge this was a
22 problem in other trusts. You said, "I may be aware
23 of one other incident." Can you explain, do you
24 mean one incident only, or one other trust where
25 this is a problem?

1 A. So I'm aware of one incident at one trust, that I
2 can think of off the top of my head.

3 Q. Which trust was that?

4 A. It was a Northern trust.

5 Q. Do you know the name of the trust?

6 A. No, without going away and looking at it but I know
7 what the incident was.

8 Q. At paragraph 46 of your second statement, you
9 mention blurred images. Stop Oxevision's first
10 witness statement describes concerns about blurred
11 images it raised with the NHS Health Research
12 Authority last year. In light of the HRA's (The
13 Health Research Authority's) decision, to suspend
14 its favourable ethics opinion following a lack of
15 clarity on whether Oxevision images being collected
16 were in fact anonymous. Do you accept that blurred
17 Oxevision footage is not de-identified by UK
18 research ethics standards?

19 A. So that was anonymised footage that had gained
20 ethics approval via the ethics committee. We
21 understand that that may have made people feel
22 uncomfortable but it was anonymised.

23 Q. Is it correct that in blurred footage identifying
24 details or personal characteristics of patients may
25 be visible or recognisable, such as body shape, skin

at

1 tone, hair, clothing or other unique features, and
2 that it would also be possible to see a patient
3 undressed?

4 A. So, no, so I think we spoke about this earlier. That
5 blurred video is pixelated, so you can roughly work
6 out where somebody is within a room but it's full
7 pixelation. You couldn't tell what colour someone's
8 hair was or what they were wearing.

9 Q. We might follow up after your evidence and ask for
10 some examples of blurred footage and then we can look

11 those ourselves. Chair, those are the questions I
12 have. Do you have any questions for the witness?

13 THE CHAIR: No, I don't, thank you very much and we will
14 meet again tomorrow at 10?

15 MR GRIFFIN: Starting again tomorrow at 10 o'clock.

16 Thank you.

17 (5.30 pm)

18 (Adjourned till 10 o'clock tomorrow morning)

19

20

21

22

23

24

25